

MANITOBA CLEAN ENVIRONMENT COMMISSION

HEARING

VIVIAN SILICA SAND EXTRACTION PROJECT

* * * * *
Transcript of Proceedings
Held at Mennonite Heritage
Village
Steinbach, Manitoba
TUESDAY, FEBRUARY 28, 2023
* * * * *

CLEAN ENVIRONMENT COMMISSION

Jay Doering - Chairman
Laurie Streich - Commissioner
Ian Gillies - Commissioner
Terry Johnson - Commissioner

Peter Crocker - Commission Secretary

STANTEC

Steven Bundrock
Arash Eshraghian

AECOM

Douglas McLachlin
Ryan Mills
Miln Harvey
Cheibany Ould Elemine

DENNIS LENEVEU

SIO SILICA CORPORATION

Feisal Somji
Brent Bullen - COO
Laura Weeden
Sander Duncanson - Legal Counsel

LIFE CYCLE GEO, LLC

Tom Meuzelaar

MUNICIPAL SILICA SAND ADVISORY COMMITTEE

Jason Mann

MANITOBA ECO-NETWORK

Byron Williams - Legal Counsel

HARTMUT HOLLANDER

Reporter: Shania Chen & Beatriz Menendez

1 TUESDAY, FEBRUARY 28, 2023

2 UPON COMMENCING AT 09:29 A.M.

3

4 THE CHAIRMAN: Chair. Good morning. I
5 have no objections to starting a minute early, given the
6 hush in the room, and everyone seems to be prepared. So,
7 welcome today, too our agenda for the morning is pretty
8 straightforward. The intent is to clear up -- now, clear
9 up's the wrong word. Our intent is to finish dealing with
10 the Geo technical team, and I understand they have
11 prepared a number of slides, and they would like to
12 present those slides. So, I think I will turn it back
13 over to Steve, Arash, and Doug, and then when they've
14 presented their slides, I guess Byron you can come on up,
15 and we'll get on with questioning. So, over to you guys.

16

17 MR. BUNDRICK: Good morning. Steve
18 Bundrock with Stantec. So, yesterday we had some requests
19 from questioners in particular about the strength of the
20 Winnipeg shale. We had indicated that we hadn't done a
21 formal assessment of the Winnipeg shale. In the case of
22 Geo Tech, we'd assumed zero strength. We just removed it
23 from consideration as not providing any strength, but we
24 did complete an informal assessment last night, so we're
25 going to talk a little bit about that.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Also, there were multiple questions about the Carman Sand about our design assumptions for the Carman Sand. So, we're going to spend some time talking a little bit about that. There were some requests to further clarify the extraction plan. So, Laura's going to spend some time talking about the extraction plan, and then just a few other clarifications.

So, beginning with the Winnipeg shale strength. As many of you know, this is one of the area aquitards. It's also well known to be a generally weak layer. So, we spent a little bit of time last night to addressing the strength of the Winnipeg shale. We looked at five bore holes, we look at the rock mass ratings, so that's a -- that's a measure of the strength of the rock mass based upon identifying, mapping the -- the joints, the discontinuities in rock core, and we also looked at three bore holes' point load test results.

So, as you recall yesterday, I mentioned that we collected many, many rock core samples from bore holes, and we tested their strength using a point load tester. So, we looked at those last night, and you can see the results here. The results are that the -- the

1 rock mass ratings in the Winnipeg shale, they're typically
2 50 percent of the competent limestone values. Competent
3 limestone values may range as high -- the RMR is maybe as
4 high as 90. RMR in the Winnipeg shale were typically half
5 of that.

6
7 More or less, we also looked at point load
8 testing rock strengths for the Winnipeg shale, and those
9 were even lower, comparatively 20 to 30 percent of the
10 strength of competent limestone. So, we think that our
11 assumption that we should not rely upon the Winnipeg shale
12 to support the overlying overburden -- to serve as a cap
13 rock, we think that assumption is well supported by -- by
14 the data, and it's also supported by many other studies.

15
16 The other thing that's important is to
17 recall the Winnipeg shale is -- is friable. That means
18 it's -- it's susceptible to disturbance during the sand
19 extraction process, it's susceptible to -- to falling
20 apart. And so, again, we didn't rely upon it to provide
21 support when assessing cavern stability.

22
23 And now, moving on to talk about the Carman
24 Sand strength. We spent quite a bit of time talking about
25 this yesterday. Lots of questions about this, about how

1 we developed our design basis. And so -- and there were
2 also some questions about the potential to collect intact
3 samples. A lot of the questions were driving at why
4 didn't we collect intact samples. To understand the
5 properties of the Carman Sand, as we mentioned, we did
6 investigate a number of methodologies to collect intact
7 samples.

8
9 Typically, as mentioned, I think it was
10 Hartmut yesterday who suggested sonic drilling. You can
11 also use Shelby tubes, so you can direct push a tube,
12 which sometimes which will allow you to collect an
13 undisturbed sample. We did assess the potential to
14 collect samples using that approach. Because of the
15 disturbance associated with drilling, even sonic drilling,
16 which involves vibration, we -- we were quite confident
17 that the vibration and/or the rotation would disturb the
18 samples.

19
20 As you recall, this material is poorly
21 cemented at best. We went into this assessment many years
22 ago assuming that it was not cemented at all. In fact, we
23 found that it's actually at least poorly cemented, and as
24 we mentioned earlier, it stands up at vertical or extra
25 vertical in some cases.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

So, yesterday the question was asked if we had considered ground freezing. So, some of you are perhaps familiar with ground freezing. Typically involves using a type of injection while drilling multiple wells, maybe ring wells, some folks may have even heard of the Jansen Mine in Saskatchewan. Very large freeze well project. It's relatively invasive, involves lots and lots of wells, and injection of the subsurface to freeze the surface -- just freeze the subsurface, excuse me. And as a result, you can initially collect a sample which is frozen. We describe it as intact, however, the freezing process also in most cases would generate expansion, particularly in a location such as this where we have water present.

So, we think it's a -- a very reasonable assumption that freezing the saturated sand would in fact disturb it to begin with, and then when you go to complete testing on the strength of that material, in theory you would be attempting to test an unfrozen sample, and as soon as you thaw the sample, typically the cohesion would breakdown, and you would end up with a slurry sand, very similar to what we have on the surface. That said, we'll continue to explore opportunities to -- to collect

1 undisturbed samples.

2

3 Moving onto the next slide. The Carman
4 Sand strength. We think we actually have very reliable
5 data on the Carman Sand strength. As a result of the side
6 scan sonar survey, in particular, one of the things we
7 failed to identify yesterday, partly because it was so
8 unsuccessful at the time, we thought it was unsuccessful,
9 was the standard penetration testing, and I'll talk about
10 that in a little bit, but I'm just going to walk you
11 through how we built up the Carman Sand strength.

12

13 So, starting with the initial numerical
14 analysis, which was completed back in 2018, we used an
15 angle of repose of 31 degrees, and the question was asked
16 yesterday, why didn't we just take some sand out of the
17 hole and test it. In fact, we did. We -- we looked at
18 the angle of repose, and it was standing up at 31 degrees.
19 So, we used that assumption to start with for the initial
20 modelling. As you know, some time later we did
21 successfully complete side scan sonar survey, which
22 returned what we know to be very high resolution results,
23 which showed vertical and/or overhanging sand sidewalls.

24

25 During the investigation analysis and

1 design process, we also did standard penetration testing.
2 Some of you are probably familiar with this. It's
3 completed during drilling, use a weighted hammer, it's a
4 standard weight hammer, and there's a calibration that you
5 can -- that you can use based upon blow counts. So,
6 they'll lift up the hammer, and they'll drop it down on
7 top of an advancing rod, and then based upon that, they
8 can calibrate -- we can calibrate and determine the
9 strength of the deposit. So, they will repeatedly drop
10 that hammer and try to advance it through the deposits.

11

12 Surprisingly, when we tried to advance that
13 hammer through the Carman Sand, we found that in fact it
14 was much more competent than we expected it to be. In
15 fact, it returned refusal. You'll sometimes see refusal
16 in -- well, you'll certainly see it in rock, in competent
17 rock. You might see it in extremely compact glacial till.
18 In this case, we saw it in the Carman Sand, and -- and we
19 -- we didn't just test the top of the deposit. We
20 could've been in some other rock formation, perhaps we
21 could've been in the shale. Instead, we advanced it
22 further down into the hole to confirm that we were in fact
23 in the sand deposit, and we tried advancing again, and you
24 can see here on the right in the table, these two holes
25 that in one case we had -- right off the bat we had a

1 number of blows, 105, and they managed to advance it about
2 six inches. The target is to advance it 18 inches. This
3 case, we got six -- six inches.

4
5 Typically, actually they far exceeded where
6 they should've called the hole. They should've said this
7 is -- this is extremely hard rock. They should've stopped
8 at 50. Typically, we talk -- we stop at 50. They kept
9 trying, but it remained hard. And then they completed
10 multiple additional tests. In every single case they
11 exceeded refusal. So, our assessment of that result is
12 that the strength of the sand deposit is quite a bit
13 higher than the 31 degrees.

14
15 So, we also know that we have kaolinite
16 down hole, we know that we have some compaction
17 influences, we know that we have some at least weak
18 cementation as a result of the kaolinite, and it's
19 demonstrated by the side scan sonar survey. And just for
20 the group's awareness, we did -- during the design
21 process, we did spend some time researching shallow sea
22 cemented sand deposits similar to the Carman Sand, and
23 those have undisturbed friction angles which may range
24 from 38 to 45 degrees.

25

1 So, ultimately we started out with a
2 conservative value of 35 degrees for the friction angle of
3 the Carman Sand. And then as you recall based upon the
4 side scan survey data, which showed vertical to
5 overhanging sand, we used that in the FLAC model, and you
6 know, we saw that we had a wall that was standing up
7 actually at 90 degrees and overhanging in some cases. So,
8 we knew 35 degrees obviously is not accurate. So,
9 something else must be going on, and that we understand to
10 be cohesion. And so, that's where the back calculation
11 came into play. We used that back calculation to very
12 accurately calculate a cohesion of 220 KPA.

13

14 And then just the final -- final note. The
15 strength of the Carman Sand we expected to change from the
16 undisturbed condition to the disturbed condition. We
17 understand that deformation will occur during the
18 extraction process, and we've accounted for that in the
19 FLAC model. We're -- we used a shear weakening model. We
20 can talk -- Arash can talk at length about the shear
21 weakening model if there's questioners who'd like to
22 discuss it, but suffice it to say that it does consider
23 the reality that the Carman Sand is going to be disturbed
24 during the drilling process, the extraction process. And
25 so -- and so, we need to account for that in our model.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

We had a question yesterday about the strength of the sand that was used for modelling, so we included this table here. I'm not going to talk through these numbers, but it's on the public record, and if there are additional questions about it, we can address those questions, but just be aware, these -- these are the numbers that were ultimately picked for modelling. We understand these numbers to be well supported by data, and to be reasonably conservative.

So, again, based upon everything that I've mentioned so far, just wanted to remind the group, yesterday we were talking a lot about a friction angle of 65 degrees. In fact, the friction angle is the result of a 35 degree friction angle, and a -- a cohesion of 220 KPA. That's where that 65 degrees comes from. It's actually a geometry, rather than being a friction angle. So, it's an important distinction.

And just by way of summary, we -- we know that the approach used to determine the friction angle and the cohesion was reliable. In particular, we actually favour the use of a full scale test, the sonar scan and the back analysis to identify properties. We think this

1 is a highly accurate way to -- to determine friction angle
2 and cohesion. And to confirm -- and for everyone's
3 awareness, a typical shortcoming of the engineering
4 process, we might design large underground mines, large
5 underground openings, we might design large pit walls and
6 large dams, and in most cases, we end up completing those
7 designs based upon point data. You have multiple bore
8 holes, multiple lab tests, and they're all completed on
9 samples that are comparatively small. In fact, these
10 systems, these underground mines are much more complex
11 than what a simple piece of point data can convey. So,
12 engineers, if they have the opportunity, every single
13 engineer would like to construct a full scale model of --
14 of the deposit, of the underground mine, and of course we
15 know that's generally not possible. In this case, we
16 actually did have effectively a full scale model, and we
17 were able to collect data directly from that process. We
18 expect that that data therefore would be much more
19 accurate, much more representative of the combined system,
20 which involves friction angle, which involves cohesion,
21 which of course involves water.

22

23 And with that, I'm going to turn things
24 over to Doug. He's going to talk just a little bit about
25 why cohesion is important.

1

2

MR. MCLACHLIN: Thank you, Steve.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Doug McLachlin. So, I just wanted to raise the -- there were some discussions yesterday about sand present on a beach, which -- and -- and that was a question, why would we not consider it to be beach sand. And so, as we -- as was discussed earlier, soil properties are different. They -- they don't just have a phi angle, they also have cohesion, and as was discussed earlier, our assessment was able to back calculate values for both C and phi. So, that's shown on the left hand side of this -- this slide, and this is standard soil mechanics, and I encourage you, if you're interested, you can ask more about it, but what we determined, if -- if you look at the right hand side at the cavity, the dimensions of that cavity, you'd probably be able to put -- fit maybe two people standing head -- head -- on -- on each others shoulders in that cavity. So, it's about ten metres high, so maybe a little bit more than that, and you would be looking against a face that is actually overhanging. And the interesting thing is that that is not what you'd experience if that were just beach sand. It would not be able to stand up like that.

So, one of the things that's taking place is cohesion, and that can describe it. You think of clay

1 -- when you put clay -- you could actually take soft clay
2 and put it up and have it be vertical. So, that's what
3 cohesion gives you. It allows you to be able to mold
4 clay, let's say a pot. In this case here, we actually
5 have overhanging conditions, which we believe is likely
6 also some cementation, very weak cementation, which is
7 also supported by the standard penetration test results
8 that we got, which showed very dense -- very dense
9 material. And if -- if you're interested to learn more
10 about the standard penetration test, you can just Google
11 it.

12

13 So, basically what it means is that any
14 soil that has over 50 blows per foot, .3 metres, is
15 considered very dense. This material has much, much
16 higher blows. It's very dense material, and the
17 likelihood -- the reason for that is that it's -- it --
18 there's a very small, less than one percent kaolinite
19 there. It's been underground for thousands of years being
20 compressed by all of the weight above it, and that has
21 caused very weak cementation that holds it together, so
22 that's why it stands up so well. Next slide.

23

24 Something else we talked about yesterday is
25 what's going to happen in the long term. So, let's just

1 discuss some of those points. First of all, the duration
2 of extraction is in the order of several days. So, it's
3 very short term in terms of how long that deposit has been
4 there. It's been there thousands of years. We're
5 disturbing it for a relatively short period of time.
6 After extraction and sealing of the bore holes, the
7 groundwater conditions will equilibrate, they'll go back
8 to the way they were previously. This is important
9 because all of the forces that were associated with the
10 sand extraction related to the -- the air injected -- the
11 air, and -- and the water movement, and the soil movement,
12 the sand movement will stop. It will be sealed off, and
13 they'll be typically a minimum of 160 feet. So, if we
14 looked at that previous slide, if you are at the top of
15 that -- that side -- the sonar scan, there's 160 feet
16 between you and ground surface, and it's going to be
17 completely sealed off, okay?

18

19 Another thing is that all of the pillars,
20 which is the -- the -- the remaining Carman Sand between
21 the extraction areas, will be under the confining pressure
22 of the overlying soil and rock. And again, as I said,
23 typically it's 160 feet or more confining pressure above
24 that Carman Sand. So, the undisturbed Carman -- Carman
25 Sand comprising the pillars is very dense, weakly

1 cemented, and it will support the -- the pillars will
2 provide the support needed.

3

4 So, based on the observed properties of the
5 Carman Sand, the overhanging and vertical side walls, the
6 geotechnical modelling, an additional five metres has been
7 recommended for allow -- allowing additional sloughing of
8 the sand, and that's reasonable, and it's conservative,
9 okay?

10

11 MS. WEEDEN: So, this is Laura Weeden
12 speaking for Sio Silica. We just wanted to provide,
13 sorry, thank you, a little bit more context to how this
14 process came about because I think as Feisal mentioned,
15 you know, things first kind of started in 2016, 2017, and
16 now we're in 2023. So, and the Geotech change to table
17 nine happened fairly recently. So, we -- we tried to
18 provide a bit of context in this version of a Gantt chart.
19 So, as you can see here in the -- I'm trying to -- in the
20 lower bottom two rows here, we've got a conceptual model
21 for both the geological model and the Geotech model, and
22 this has been -- additional updates have occurred multiple
23 times. So, the initial kind of conceptual model is
24 developed in 2017 following some coring work and some
25 exploratory drilling, and then it was -- it was further

1 updated again following recommendations that we received
2 from Stantec for additional drilling and work to be done,
3 and at the same time, the extraction process was being
4 developed. So, we have a couple of different types of
5 wells that are drilled. We have done coring wells, we've
6 done geological bore holes, which is more of an
7 exploratory drilling, we're taking samples as we go, and
8 then we're doing extraction testing, which is a different
9 type where we were -- we were testing the actual method of
10 extraction and refining that. And over time, the
11 refinements of the extraction method have allowed us to
12 reduce the size of the well, they've allowed us to change
13 from steel casing to PVC casing. We've -- we've found
14 that you don't need an excessive amount of force to remove
15 the sand. You -- we can do this with very minimal air, we
16 don't need any aggressive activity. It -- it actually
17 just -- it does flow to the well, and it comes to surface,
18 and it really is just a prolonged version of what you
19 would normally see when you drill a water well in -- in
20 your backyard, which I'm sure many people have had drilled
21 on their property.

22

23 And so, you know, really the -- the
24 defining change here that we saw was when we were finally
25 able to do a successful sonar, and that was -- that was in

1 the summer of 2021. At that point, we had already filed
2 our extraction EAP filing, and it was already going
3 through the process of public review. And so, the
4 original application had been done with the previous
5 Geotech model, which was still using that 31 degrees, it
6 was still using -- that was where the -- the seven well
7 cluster came from. When we were able to take that
8 successful sonar, we were able to remove a larger tonnage
9 than we had originally been able to because as Feisal
10 mentioned yesterday, our -- our original tonnage, you
11 know, 2019, 2020, we were able to extract more than around
12 2,000 tonnes, then we were able to extract 3,000 tonnes,
13 and finally around 4,000 tonnes in the most recent
14 extraction, which was in summer of 2021.

15

16 Once we gave all of that data to Stantec,
17 this is really where that -- that table nine with the new
18 parameters that we're now following came from, and as --
19 as was described yesterday by Brent, that triggered some
20 additional updates to our geological model, and some
21 further wells that were done this past summer, and then a
22 model update on that geological model so that we could
23 apply that new table nine recommendations and parameters
24 that were given to us by Stantec with our new extraction
25 plan, and that's the extraction plan that was filed in

1 January. Next slide please.

2

3 So, you -- you may or may not have seen
4 this -- a similar diagram to this. This was -- this
5 diagram was -- has been modified now to follow more like
6 our current extraction plan, but the original version of
7 this was in the EAP, and it would've had seven -- a seven
8 well cluster, and then it was changed to a five well
9 cluster.

10

11 So, we talked a little bit yesterday about
12 how we may have clusters with one well, we may have
13 clusters with two wells, and that's very dependent on the
14 geology based on that table nine and the parameters, so we
15 wanted to kind of give a bit of a birds eye view. This is
16 just an example. It -- it may or may not look like this.
17 It does mean that those clusters where we have one well,
18 we might need to have more rigs operating at the same time
19 to remove the same amount of tonnage that we had
20 originally anticipated with a seven well cluster. We
21 continue to maintain the same separation though.

22

23 So, the -- the -- the overall span that's
24 in that table nine, that's -- that could contain more than
25 one well, but the separation between each one of those

1 clusters, which is the -- the -- the larger blue circles
2 and the little yellow dots inside are -- are the number of
3 wells, that must be long term distance, 60 metres at
4 minimum, and short term distance, 70 metres, regardless of
5 the number of wells in each one of those clusters. So,
6 our design is all based on maintaining and not exceeding
7 the allowable span in table nine, which is per cluster,
8 regardless of the number of wells, and then the 60 metre
9 spacing in between each one of those clusters.

10

11 So, now if we zoom in on the next slide
12 please, this is just a 3D representation of the
13 description that Brent gave yesterday about the multiple
14 straws in one cup idea. So, you can see in this example,
15 this is five wells, this is the maximum number of wells
16 that we would anticipate, and our intention is to drill
17 the least number of wells possible. So, maybe it would be
18 four, or three, or two, but the -- the idea here is that
19 there's a little bit of overlap with each one of those
20 wells of the extraction, but they -- those wells all
21 combined together do not exceed the overall allowable span
22 in table nine, and again, dependent on the cap rock and
23 the overburden thickness. So, we wanted to kind of try to
24 clarify that a little bit more.

25

1 MR. MCLACHLIN: Doug McLachlin. So --

2 -

3

4 THE CHAIRMAN: Chair. Let me just
5 intervene here. We have gone -- while the information is
6 much appreciated, we're 30 minutes deep in what I thought
7 was going to be something much briefer. How much longer
8 do you have? Okay.

9

10 MR. MCLACHLIN: Thank you, chair.
11 Doug McLachlin. So, these are the last two slides. First
12 of all, this goes back to our original presentation on the
13 level of review that our geotechnical assessment has
14 undergone, both internally within Stantec, their senior
15 reviewers, AECOM, our senior reviewers, and also CEC's
16 reviewers. All of these people are registered engineers,
17 they have a standard of care to protect the public, and I
18 just wanted to highlight the level of rigour that our
19 geotechnical assessment has gone through. Next slide.

20

21 So, in summary, the project was designed
22 from the beginning for no subsidence. The factor of
23 safety of two has been selected, which is reasonably
24 conservative to ensure that -- to -- the -- that
25 subsidence will not occur. We are currently at a stage

1 where this is the level of assessment that would be
2 typical for something that would be applying for a
3 licence, environmental assessment licence, and it's not
4 necessary that we have all the details of the TARP
5 available at this time, Trigger Action Response Plan, but
6 we will be moving forward post issue of the licence.

7
8 Subsidence monitoring will continue -- will
9 occur before, during, and after extraction activities in
10 the long term. We have a full scale model of the Carman
11 strength based on now the side scan sonar, which as was
12 mentioned by Laura, we just fairly recently had. We were
13 able to update our -- our model. Winnipeg shale in
14 summary was not relied upon for the stability
15 calculations. And finally, the underground room and
16 pillar mines often have groundwater that has to be
17 controlled and pumped down. In this case, we don't need
18 to pump down the groundwater, but just wanted to highlight
19 that as well. Thank you.

20

21 THE CHAIRMAN: Chair. Thank you very
22 much. Okay. So, we'll resume with the order of
23 questioning, and Peter has just got me back on track here,
24 so thank you for that. MSSAC, I believe you're up next.
25 Very good, Jason. Please come to the front. And we're

1 going to do things just a little different. So, state
2 your name and spell it please.

3
4 MR. MANN: Good morning. Jason Mann, J-
5 A-S-O-N M-A-N-N, representing or working with MSSAC. So,
6 I have a number of questions, and I've written them, so
7 I'll read from my notes and paraphrase along the way. A
8 lot of it relates to the things that have been talked
9 about yesterday, today. So, I'll start with the first
10 one. So, 65 degrees as a slope was chosen as that long
11 term stable slope within the sand void space, and as you
12 described, various Geotech parameters, cohesion strength
13 were back calculated from that observed condition with
14 your image of a side scan. Today was the first I heard
15 that your friction angle was 35 degrees, so that was
16 helpful to hear this morning, but I didn't hear any
17 discussion about sensitivity analyses, and the Geotech
18 modelling on those parameters, including that angle of
19 repose, and what that would mean for the project. That 65
20 degree slope case is notable because it's the most
21 favourable to minimize your span lengths, and I appreciate
22 that's what you've observed, but I didn't hear anything
23 about sensitivity analysis. So, is this considered the
24 long term representative case when, again, haven't seen
25 any sensitivity analyses presented, or even a comparison

1 or check against angles of repose that might exist in the
2 literature for a similarly poorly cemented sand? So,
3 based on that 65 degree slope and the parameters you
4 backed out, why is that the chosen condition when it may
5 not be the most conservative case? Or I'll ask it in a
6 different way. If you haven't presented a sensitivity
7 analysis, how do we know what is the conservative case?

8

9 MR. ESHRAGHIAN: Arash Eshraghian with
10 Stantec. Just to -- just to clarify. The 65 degrees is
11 not just the friction angle, right? It's a combination of
12 friction angle and cohesion. They work together to
13 provide that stability. The 35 degree friction angle
14 component we believe is a conservative assumption based on
15 comparison we've seen in our deposits. So, seen our
16 deposits, we believe they had -- they were reported
17 friction angles above 38 degrees, so we adopted 35 to
18 start with, but the cohesion component has been back
19 calculated based on the side observation. So, the sum of
20 these two is a conservative assumption by itself. We have
21 not completed sensitivity on its own based on variation of
22 -- of these parameters, but based on the way I explain to
23 you, we believe it's a conservative assumptions already,
24 but we could do a sensitivity on resistance to -- to prove
25 that as well, and it will be in the next step or next

1 stage of the -- of the design review.

2

3 MR. MANN: Jason Mann. So, thank you for
4 your answer, and I understand all of the things you told
5 me, but it's standard practice to demonstrate a
6 sensitivity analysis, and -- and I don't believe that's
7 been shown, nor has it been put into context about why the
8 parameters have been chosen that you just described. So,
9 I think to your comment it is important, and it is
10 something that needs to be done, which it sounds like you
11 suggested will be done and presented.

12

13 MR. BUNDRICK: Steve Bundrock.
14 Agreed. Sensitivity analysis will continue to be done.
15 Recall the slide that Laura showed earlier that identified
16 the path of geotechnical analysis and design. Recall that
17 we began with the 31 degree friction angle. There was a
18 literature review during that time as well to understand
19 the range of material properties, possible material
20 properties for a deposit of this type. There were
21 multiple investigations to understand those material
22 properties, and then multiple iterations of design. So,
23 by one interpretation you might consider that we've been
24 conducting continuous sensitivity analysis from the very
25 beginning of this project. It's also very reasonable to

1 expect, as you suggested, that at the next level of
2 design, at the detailed design level, of course you would
3 complete sensitivity analysis. You would assess the most
4 likely case, the reasonable worst case, everything in
5 between and on the margins.

6
7 MR. MANN: Jason Mann. So, I think just
8 to close this question, I think what's important is that
9 the sensitivity analysis -- so, I appreciate the
10 description of how you've arrived to where you've gotten
11 to, but I don't believe that that's been shown, shared,
12 demonstrated, and I think that's important to properly
13 evaluate the project and what the design looks like. So,
14 that sensitivity analysis, at least in my view, would be
15 very important to -- to share and to demonstrate in
16 detail. If -- if you would wish to say more on that one,
17 that would be great, otherwise I'll move to my next
18 question.

19
20 MR. BUNDRICK: Steve Bundrock. I
21 would just add that, yeah, I believe that the public,
22 particularly if they haven't signed a non-disclosure, they
23 don't have access to the complete geotechnical analysis,
24 which includes some of that information. It's also true
25 that previous geotechnical analysis is likely not on the

1 public record. Is that -- that's correct. Yeah. So, in
2 the future, it's reasonable to expect that of the detailed
3 level of design that very fulsome sensitivity analysis
4 would also be carried out and documented.

5
6 MR. MANN: Jason Mann. So, just to close
7 again, it's critical that fulsome detail is shared such
8 that this project can be evaluated properly, and if some
9 of that's not on the public record, it certainly needs to
10 be. I'll move to my next question.

11
12 So, in discussion yesterday and in looking
13 at the side scan sonar data, it's clear and it was
14 discussed that the base of the void space that's created
15 with your single well extraction partially infills with
16 sleuth sand, settles to a flat floor. And so, the
17 question around this is that is it -- is it reasonable to
18 assume that the 65 degree slope angle seen in the upper
19 portions of that vertical section of sand is
20 representative when first and foremost you weren't able to
21 image the bottom of the void space because it infills?
22 So, you don't know what that looks like below the flat
23 floor. And is that 65 degree slope characteristic of the
24 full vertical section in the sand zone when, yes, you see
25 it in the upper portion of the sand where your side scan

1 sonar could imagine it? But we know that the bottom of
2 the void space infills with flowable sand. So, is there
3 variability in the consolidation state, cementitious state
4 of the sand vertically in that section? And I'll have
5 some follow up questions related to your SPT and other
6 discussions this morning, but that's fundamentally my --
7 my question. Is there variability in the consolidation
8 state, cementitious state of that sand vertically when,
9 again, you can see part of it standing up in the upper
10 part of the void space, but the bottom infills and flows,
11 and is backfilled with sand?

12

13 MR. ESHRAGHIAN: Arash Eshraghian,
14 Stantec. It is true that sand may be flowable when it's
15 disturbed, but in undisturbed condition it's not flowing,
16 there's only in formation. There is cementation and
17 cohesion to look through -- through that process,
18 therefore we don't believe that entire Carman Sand is
19 flowable then in the in situ condition. It will be
20 disturbed by the extraction, and that's why it can flow
21 into the -- to the extraction well, but it won't be
22 flowable beyond that immediate extraction disturbance on -
23 - around that -- that well. So, that's all based on our -
24 - our understanding that the wall will be semi circular
25 actually. It seem similar to tunneling in a -- in a -- in

1 a relatively uniform deposit that you create a -- a circle
2 due to extraction, and the stress condition itself. It
3 create that compression to hold that circle. We are doing
4 extraction with a different method, although we don't
5 directly see that -- that shape, but it's reasonable
6 assumption that the similar shape will be developed due to
7 horizontal and vertical stress conditions in the -- in the
8 sand. So, we believe it's still the assumption is -- is
9 valid.

10

11 MR. MANN: So, let me ask a related
12 question. Jason Mann. If the carmen sand was cemented
13 and -- and stood at 65 degrees or better throughout the
14 vertical section of the sand that you're extracting via
15 your process, wouldn't you expect a clean void space,
16 clean walls, and that you would be able to produce the
17 sand that you've disturbed via your airlift method? Or at
18 least most of it versus having a pretty significant amount
19 of sand sleuthing into the bottom of the voice space. So,
20 to me that would lead me to think that there's a
21 difference in cementitious state, consolidation state, or
22 some other thing going on. And so, I'm wondering what
23 your thoughts are on that.

24

25 MS. WEEDEN: I'm just going to respond

1 because I ---

2

3 THE CHAIRMAN: Chair. Can I get you
4 folks to kind of lean into your microphones. We're having
5 some difficulty hearing you over here.

6

7 MS. WEEDEN: Oh. Hi. This is Laura
8 Weeden. Is this better? Okay. So, I'm going to respond
9 specifically to the sonar because that was a -- a field
10 test, and we tested returning the water to the aquifer at
11 the same time, and I think it's been mentioned and
12 understood that we are planning on filtering the water
13 before we return it in the future. However, when we did
14 the test, we were chlorinating the water and returning the
15 water back to the aquifer, and it did contain fines, and
16 it takes time for those fines to settle, and when we
17 return those fines, the sonar picks those fines up like a
18 brick wall, even if it's just a tiny little bit. So,
19 there -- it does actually take up some of the size of that
20 cavern with a layer of fines, and it is -- we do find that
21 it can be several feet, and we can tell the difference
22 because we can see it with the sonar versus tagging it
23 with an actual tag line, which wouldn't pick up fines.
24 So, I just want to clarify that piece.

25

1 MR. MANN: Thank you. Jason Mann. So,
2 that's a reasonable explanation. So, what did the tag
3 line tell you? Because that would've been my next
4 question.

5

6 MS. WEEDEN: Laura Weeden. I -- I guess
7 I'm trying to understand what you mean, like what was the
8 extra depth?

9

10 MR. MANN: Correct. So, if you realized
11 your sonar was blind to the base of that void space, I
12 probably would sound it with a tag line or some other
13 method, and I'm curious what that result was.

14

15 MS. WEEDEN: Laura Weeden. It's about ten
16 feet in difference from actual sand to the top of where
17 the fines have settled.

18

19 MR. MANN: Jason Mann. So, that's an
20 important distinction because I don't believe anywhere
21 that that's been described, and if someone was
22 interpreting your sonar results, they could very easily be
23 interpreted that that is sand and not other material.
24 Dirty water, finds, otherwise. So, I think that's a
25 critical thing that needs to be described and -- and

1 better -- better described as a -- as an understanding for
2 the project. I've got related questions if -- if you're
3 ready or I'll wait.

4
5 So, related questions, and -- and thank you
6 for sharing the SPT results today. I think that was
7 helpful. My question would be did you find there was --
8 so, I heard that there's basically refusal, spoon refusal,
9 so that's important, but was there any variability with
10 depth, was there a difference in results with depth, or
11 did you just try the SPT at the upper part of the sands,
12 found you got refusal, and that's the extent of that data
13 collection? Sorry. I don't know if I stated my name.
14 That's Jason Mann.

15
16 MR. BUNDRICK: Steve Bundrock. The
17 results are here. This is where we completed our testing.
18 You can see that we advanced what -- as much as 30 feet
19 into the deposit and completed testing at -- at those --
20 those intervals, and there was limited variability.
21 Typically, we're encountering refusal.

22
23 MR. MANN: Thank you. Jason Mann. I --
24 I can see those being a little closer here, but thank you
25 for your answer. Basically, throughout the vertical

1 section you had refusal on the spoon. Related question.
2 What was recovered, if anything, in the spoon?

3

4 MR. MCLACHLIN: This is Doug
5 McLachlin. So, reviewing photographs of the split spoons
6 this morning, very little recovery. So, it was basically
7 just very chips or little bit of, you know, chips of
8 material, but no continuous recovery.

9

10 MR. MANN: Thank you. Jason Mann.
11 Related question. The sand deposit earlier this morning
12 was described as being confined, and we know it's under
13 lane by a -- a series of strata above it. The sand itself
14 is a reasonably uniform and rounded in shape. The silica
15 itself is quite hard. It's well consolidated I'm sure,
16 perhaps over consolidated. Cemented or not, would you
17 expect in that condition that you would penetrate it with
18 an SPT?

19

20 MR. MCLACHLIN: Doug McLachlin. So,
21 as I mentioned earlier, standard penetration tests is a
22 measure of the density of soil, but it also can measure
23 sort of the cohesion in -- in a -- soil with cohesion, you
24 would say very hard or you could say very dense. So, in
25 this case because it is a sand, we -- we would call it

1 very dense material. And so, that -- the information that
2 was -- was obtained from the standard penetration test
3 supports the fact that this is first, very dense, but then
4 when we're starting to see the overhanging of the -- the
5 sand deposit, once extraction takes place it's quite
6 possible that there is significant cohesion including
7 potential for very, very weak, poorly cemented as well.

8
9 MR. MANN: Jason Mann. So, no,
10 appreciate that, and for that sand to stand vertical or
11 overhang, certainly there is some amount of cementation,
12 however, I would argue that with an SPT based on the fact
13 that it's a hard material, it's uniform, it's very dense
14 in place, I would surmise that you wouldn't necessarily
15 know it was cemented or not because you couldn't penetrate
16 it with an SPT. That's just my point of view, and you've
17 given me an answer from your point of view on that
18 perspective. Related question, and probably the last one
19 in this -- in this section. Did you try another method of
20 recovering that sand? And I'll -- I'll give an example.
21 Did you try to triple tube core it? Because if you
22 control your water properly, you can recover a lot of
23 unconsolidated soil with that method. So, perhaps you
24 would note that the full vertical section of the sand is
25 cemented, perhaps you'd note that some parts of it are

1 cemented, and some of it washes out so you know that it's
2 not. So, question is did you think about triple tubing
3 it, did you triple tube it? That's really the question.
4

5 MR. MCLACHLIN: Doug McLachlin. So, I
6 understand speaking with Sio and -- and Sio you can
7 provide more information. They had looked at alternative
8 types of drilling. Sonic drilling was mentioned as one
9 option. I leave it to Sio, do you -- did you actually
10 consider triple tubing?
11

12 MS. WEEDEN: This is Laura Weeden. We
13 spoke to a number of coring companies asking for
14 solutions, and not a single company said we believe we can
15 collect a core. So, we did not attempt.
16

17 MR. MANN: Jason Mann. Thank you for
18 your answer. You don't know until you try it, but I'll
19 leave it there.
20

21 MR. BUNDROCK: Steve -- Steve
22 Bundrock. I -- I just wanted to add, Jason, it's a good
23 point. Triple tube often times will collect reliable
24 samples in challenging deposits like this. We do use
25 those, however, in this case I think what came back from

1 the drilling companies at the time, they thought that they
2 had a -- an unconsolidated deposit, and they were not
3 optimistic about their ability to collect any -- any
4 samples.

5
6 MR. MANN: Thank you. Jason Mann. Your
7 side scan sonar data was collected over months of time if
8 I -- if I've interpreted correctly at most, and it
9 resulted again as we've talked about, your slope angle of
10 65 degrees. Considering that the data you've collected so
11 far is over -- and I think it's over three, four months
12 worth of time in terms of your side scan sonar runs, do
13 you concur, or do you believe that that 65 degree slope
14 and the parameters you've back calculated from it is
15 representative of the long term condition, years, decades,
16 multiple decades, when the data you've collected and --
17 and pulled together is based on only months worth of time
18 of that -- of that void space sitting in situ?

19
20 MR. ESHRAGHIAN: Arash Eshraghian.
21 Yes, we believe that the side scan sonar data with
22 different timing so far confirm our understanding of how
23 far the wall can progress freely, and also confirm our
24 most representative failure mode of the cap rock as well,
25 which was the bending failure mode that shows a

1 trapezoidal shape of the failure as being developed, and
2 it's reading our estimated fraction zone in the -- in the
3 cap rock. So, yes, it's represented here.

4
5 MR. MANN: Jason Mann. So, I'm -- I'm
6 not sure how without some amount of sensitivity analysis
7 or looking at possibilities that you can state that based
8 on months worth of data collection you feel like that's
9 going to be representative of years or decades of an open
10 void space condition. So, I -- I don't really have
11 another question, but I just am uncertain on how you can
12 make that connection.

13
14 MR. DUNCANSON: Mr. Chair, Sander
15 Duncanson here. While -- while the panel is conferring if
16 -- if they want to respond, I -- I've been doing my best
17 to sit back and let people ask the questions they want to
18 ask and not interfere in any way, but I just wanted to
19 point out, I mean, of course this part of the process is
20 for parties to ask questions of Sio. Mr. Mann is not
21 giving evidence this week. I expect he will be next week,
22 and he'll be under oath then and we can ask him questions,
23 but I just wanted to point out the -- the opportunity is -
24 - is to ask questions, not to make statements or share his
25 points of view, which there's another point of the process

1 to deal with that.

2

3 THE CHAIRMAN: Chair. Thank you for
4 that. The point is well taken.

5

6 MR. MANN: Jason Mann. Yes, thank you
7 for that. I will stay in bounds. Another question I have
8 is related to the side scan sonar data of BRU92-8, which
9 was collected over a few months worth of time, and if I
10 recall the -- the first image, the blue line work on that
11 drawing was the main void space, and the second image
12 taken a few months later, the red line work was I believe
13 three or four months later. The side scan sonar
14 demonstrated in this case that there was loss of the roof
15 of that void space, in particular the shale aquitard, some
16 of the limestone perhaps. Again, geotechnically as been
17 well stated, the -- the shale is not relied upon for
18 strength or any other geotechnical reason, and it's
19 understood that that shale may not remain in place. In
20 this case it did not remain in place, based on that side
21 scan sonar. So, when I -- when I look at that side scan
22 sonar, there's about -- vertically about ten feet of
23 strata lost in the roof of that void space, and I would
24 just be interested to understand -- the question would be
25 I guess what would stop that process of collapse of the

1 roof of the void space over the longer term, based on the
2 analyses that -- that you've done, and your interpretation
3 of the geology?

4
5 MR. ESHRAGHIAN: Arash Eshraghian. So,
6 this failure that you observed from the cap rock is well
7 equivalent to our bending failure mode case. So, as the
8 unsupported layers of the -- the layered limestone start -
9 - start falling down, they leave cantilevers at the side.
10 So, this progress to a smaller and a smaller span of
11 unsupported layer limestone. So, eventually this will
12 converge and create a -- an underground arc if you -- you
13 wish to call it. So, that's our assessment of the
14 progress of the failure, then we do expect this failure
15 stays within the limestone. It won't reach to the top of
16 the limestone that caused, you know, subsidence on the
17 ground surface eventually. So, the design of the size of
18 the cavity is such it's limited its size that -- to limit
19 this failure within the limestone that is specifically
20 designed for that process. So, it's not diverging from
21 our process.

22
23 MR. MANN: Jason Mann. Thank you. I
24 don't think I have another question related to that. A
25 general question is -- can maybe takes a few steps back

1 before talking about the analysis of -- of the data and
2 the geotechnical work. So, there was a description by the
3 panel of the bore hole data used and compiled for the work
4 that was done for the project. Geotechnical holes, water
5 well holes, other drilling. My question is how many of
6 these bore holes were inclined bore holes?

7

8 MR. BUNDROCK: None of the bore holes
9 were inclined bore holes.

10

11 MR. MANN: Jason Mann. So, I -- if I
12 understand you, they're all vertical bore holes.

13

14 MR. BUNDROCK: Which -- Steve
15 Bundrock. Yes, correct, they were vertical bore holes.

16

17 MR. MANN: Thank you. Jason Mann. So,
18 when the televiewer was used down hole, great tool to
19 image and -- and measure discontinuities or fractures, but
20 with the work being done within vertical bore holes, the
21 structure of the rock largely captured here would be what
22 is characteristic of a horizontal orientation. It's well
23 known here in Manitoba that bedding plane partings for
24 example are a horizontal discontinuity common in the
25 limestone rock. It's one of the flow pads that form the

1 aquifers in the carbonate rock. It's also known that they
2 are pervasive vertical to subvertical joints within the
3 carbonate bedrock, also conduits for flow, and often
4 occurring at spacings that could be exposed within the
5 spans, the roof spans that we're talking about here at 50
6 to 60 metres. Those vertical joints basing's often are --
7 are less than that, and all of these discontinuities
8 geologically have been influenced by karst that has
9 occurred in the past, what we call paleo karst. So, my
10 question is related to these vertical discontinuities,
11 which are pervasive and are important and are everywhere
12 in the province of Manitoba in the carbonate bedrock.
13 What data exists or drilling done to resolve these
14 vertical discontinuities within the region of the project,
15 and are there any other data sets that maybe haven't been
16 shared that were looked at in this regard?

17

18 MR. BUNDROCK: Steve Bundrock. We
19 agree that there's potential for -- good potential for at
20 least some vertical discontinuities in the formation. As
21 you know, the presence of vertical jointing is -- is not
22 continuous in all places in Manitoba. The spacing between
23 joints varies. We -- we do have eight bore holes that
24 were Geotech, we have an additional 40 plus geological
25 bore holes, some of which include information on

1 structure, and none of those encountered persistent
2 vertical jointing. We absolutely agree that there is
3 potential that exclusively vertical bore holes can miss
4 the presence of vertical jointing, however, the fact that
5 we have not encountered it in any bore holes to date is an
6 indicator of the likelihood that spacing is likely not
7 close, is more reasonably not close, and may not be
8 continuous. And you would probably also note that in the
9 analysis and in the slide that we presented yesterday, it
10 is our intention to complete several angled bore holes
11 following permitting to close that gap. It's an important
12 gap to close, and it's absolutely correct that we need to
13 retain the span as intact, and in order to do that we have
14 to manage not only horizontal, but vertical jointing.

15

16 MR. MCLACHLIN: Excuse me. Doug
17 McLachlin. Just want to add onto that because you did
18 mention karst. And so, one of the things that will take
19 place in every extraction location as part of the initial
20 drilling, there'll be confirmation of the thickness of the
21 overburden, thickness of the competent limestone for the
22 design, and also if there were to be any evidence of
23 karst, that would be identified at that point, and Sio's
24 intention would be not to extract in karst -- areas of
25 karst.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. MANN: Jason Mann. Thank you for those answers. I appreciate you recognizing that gap because as mentioned, all of the bore hole data to date is vertical, and also the discussion on karst, I may have a follow up on that. I think more of a comment than anything. I think what's important is that even with vertical drilling, you know, you might encounter a vertical feature, you might encounter vertical paleo karst feature, and if you look at the subtotal of the data available in the region of the project, you may find that there are the odd number of bore holes that record very thin to know carbonate strata, often that's a result of chasing one of these vertical paleo karst infill features, or you might be too far east. I don't know, but it's just an important thing to note, and I appreciate the comment that there'll be work done it sounds like, if I interpreted that correctly, at each cluster location to understand the geology to plan for the cluster and it's extraction, if I interpreted that correctly. Question related to that, and it goes to my next question as well. You know, geology varies, conditions can vary. I think it's important that work is done in advance of a cluster to understand site specific condition. How will a change in variability at a cluster to cluster basis be managed or

1 administered by Sio in terms of planning how that cluster
2 will be advanced, and sand extracted? Because you likely
3 will find differences on conditions between clusters. So,
4 I'm curious on how that might be part of the production
5 plan, or where that will be captured, and -- and how will
6 that be administered, you know, on -- on the ground as an
7 operation.

8
9 MR. BUNDROCK: Steve Bundrock, and
10 Sio may want to build on my answer, but our understanding
11 of the process is that they currently have a set of design
12 recommendations, which they are held to follow. So, based
13 upon their initial drilling, they would design their well
14 spacing accordingly, following those design
15 recommendations. If they have a variation from those
16 design recommendations, then that steps over to the
17 Trigger Action Response Plan, and additional assessment
18 would be required and adjustment. And in some cases, it
19 could preclude drilling in that location, or it would
20 modify the number of wells that they're able to drill, or
21 the amount of extraction that they're able to carry out.

22
23 MR. BULLEN: It's Brent Bullen with Sio. I
24 just wanted to add to Mr. Bundrock's comments. As
25 mentioned earlier, you know, part of our -- our extraction

1 methodology and field development is the actual
2 verification of till, limestone thickness, you know, the
3 indications that were within the model parameters before
4 we'd actually start any type of extraction activities.
5 You know, should we see an unacceptable limestone
6 thickness or a parameter that's outside of the model,
7 obviously we would not look at an extraction attempt at
8 that location, and we'd move to a different one, and take
9 those parameters into the model, you know, which I think
10 was shown quite well in the presentation yesterday from
11 Stantec on cap rock thickness anticipation. You know, a
12 lot of this goes back into feeding into our ongoing TARP
13 response plan as well.

14

15 MR. MANN: Jason Mann. Thank you for
16 that answer. So, the -- the TARP plan is important, and
17 if I heard correctly then this variability and site
18 conditioned planning for safe -- within bounds of Geotech
19 rules, extraction plans will be captured in that TARP and
20 will be part of how the operation goes forward. So, that
21 TARP plan is -- is a critical piece of information
22 certainly. That probably actually captured a couple other
23 questions that I had.

24

25 I have one other that I thought I heard

1 yesterday that from the panel that based on new
2 configurations and planning for well clusters, which I
3 understand can vary, it could be one well, three wells,
4 five wells, some other number versus a set number per
5 cluster is -- is in the planning stage now, and that may
6 speak to some of the variability in the things we've been
7 talking about, which are very, very important. I thought
8 I heard that based on that approach to how a well cluster
9 will be development there was some feedback that went back
10 to the groundwater group to rerun or to refine the
11 groundwater model. I thought I heard that, I could be
12 wrong. If so, I don't believe that's been presented
13 anywhere to describe how the groundwater response may
14 differ, and I know this is the Geotech group, but if that
15 feedback has gone to the groundwater group, my question is
16 whether that new information or revised groundwater
17 information will become available?

18

19 MS. WEEDEN: This is Laura Weeden. So,
20 you're correct. You did hear that. The -- the data was
21 given to AECOM to rerun the model, and those model results
22 will be presented in the presentation. As you can imagine
23 the timeline with the hearing approaching, there is no
24 formal final document that has been released yet. So, the
25 results are contained in the PowerPoint, which are -- will

1 be handed out at the time of the presentation by AECOM.
2 It is Sio's intention to release an additional document,
3 but our extraction plan was -- the timeline was a little
4 short. So, it will be new information.

5
6 MR. MANN: Thank you. Jason Mann. Thank
7 you for that answer. So, one last question I think. I --
8 I could've asked this one earlier perhaps. So, again, it
9 goes back to the number of wells per cluster, which has
10 been revised during the hearing process, and now plan to
11 be advanced in a staged manner like we've touched on and
12 described here. My question is whether that is a
13 reflection of the -- the state of knowledge on the
14 geotechnical or geological data side, or other
15 uncertainties, or is there some other reason for that
16 change in -- in the well numbers, and how they'll be
17 advanced at a cluster to cluster basis.

18
19 MR. BULLEN: It's Brent Bullen with Sio
20 Silica. The main difference was the production increase
21 efficiency. We were able to see the production efficiency
22 on a -- on a well bore, a single well bore go through
23 4,000 tonnes. So, we saw an immediate reduction of the
24 overall wells, and we continue to see that, and we
25 actually anticipate the worst case scenario of five well

1 cluster, but it may very well be produced within three
2 wells as we see our advancements in production.

3
4 MR. MANN: Thank you. Related -- Jason
5 Mann. Related question. So, you -- you mention that the
6 -- the change in well numbers is related to efficiency,
7 and I would interpret that to be the -- the tonnage that
8 you were able to produce from a single well advanced into
9 the sand formation. I -- I might be interpreting it
10 wrong, but I would imagine that that would've been one of
11 the prime focus areas for Sio in determining the
12 feasibility of a project like this, and it would be a key
13 no go, go decision on whether you would pursue the
14 project. So, in other words, you would know from the
15 first series of wells that you drilled what the production
16 or efficiency would be based on the formation and the
17 testing that you had done. So, it's not clear to me on
18 why the number of wells per cluster would change when you
19 would relatively know on a single well basis from the work
20 you've done to date how efficient it is or isn't. And so,
21 again, I -- I would ask is it truly about the efficiency
22 of a single well production rate, or is it about the
23 variability and the geology, the sand formation, or some
24 other related issue that now has changed the approach to
25 how the cluster will be advanced?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BULLEN: It's Brent Bullen with Sio Silica. A couple comments in there, and a -- a question that I heard. The determination was based on the production efficiency. You know, the other question actually comments around financial viability of the project. You know, our initial production was based on 2,000 tonnes per well and -- and initial modelling was done at, you know, 2,200 tonnes per well. It was economically viable at that point. So, I hope that answers your -- your first question in there.

The second really is just the efficiency of production. If you look at table nine of the work that was done by Stantec, it gives you the maximum allowable void. That void, it's a very simple volumetric calculation on the amount of material that can come out of the ground that gives you the tonnage of sand that's producible, and whether we produce all of that with that one, two, three, four, or five wells, we have to work within that to find void space, and we feel it's a good thing to have a reduction of wells. We've proven up a 28 and a half percent reduction from our first -- first go around, and it's just a production increase efficiency. The void spaces are defined. That's geotechnical, and we

1 will just operate within them, and reduce the wells
2 accordingly.

3
4 MR. MANN: Jason Mann. Thank you for
5 that answer. I think I have one -- maybe one last
6 question, which sort of has developed in the -- in the
7 dialogue that we've had, and how -- and I think
8 importantly there'll be an approach to look at site
9 specific conditions at each well cluster, and -- and
10 planning inside of the -- the TARP, or the response plan
11 on how to execute that cluster. And -- and again, I think
12 for me it comes back to variability that -- that will
13 happen, and -- and will exist in an actual system and a
14 site like this. Even in measuring the void spaces
15 generated by a single well test, there are different
16 shapes, sizes, configurations. It's variability. So, is
17 it fair to say then that the TARP plan would capture an
18 approach to safely execute a cluster of wells based on the
19 bounds of geotechnical design and information that's known
20 and developed for the project, will the TARP capture a
21 safe procedure to go forward and execute a cluster on a
22 cluster to cluster basis, and -- and have the guidance on
23 what to do and what not to do to ensure that based on the
24 fact that there's variability here, that a cluster will be
25 -- be able to be executed safely?

1

2

MR. BUNDROCK: Steve Bundrock.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

That's a resounding yes. The -- there -- keep in mind that the TARP is not required at this stage. We have -- we've discussed the TARP, we've actually developed preliminary TARP's. I mean, in effect the -- your allowable span will feed into the TARP, you should expect that that would become much more detailed, that the monitoring plan would become much more detailed, that the triggers associated with the monitoring plan and all the elements of the triggers would become much more detailed, and that we continue to develop our understanding of -- of all aspects of the project, and all of those would feed into the TARP.

MR. MANN: Jason Mann. Thank you for that answer. I don't think I have any further questions at this time.

THE CHAIRMAN: Chair. Thank you very much. I think that the exchange wins the award for the least number of times someone didn't give their name. So, well done. We can see if we can top that going forward. I only counted two instances, so awesome. Let's take our break now, and I believe the last questioning will come

1 from MBEN. So, we'll take our break now, and then you'll
2 have a -- an uninterrupted go at it, Byron. Ten minutes,
3 and that's a short ten minutes. So, we will turn the --
4 excuse me. Chair. Sorry for that interruption. We'll
5 now turn the floor over to MBEN. So, if you haven't
6 previously, state your name and spell it please for the --
7 for the transcribers in Toronto.

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WILLIAMS: Good morning members
of the panel. For the transcriber, Byron, B-Y-R-O-N,
Williams, W-I-L-L-I-A-M-S. And members of the panel,
we've of course been listening carefully to the discussion
today and as well as yesterday. We'll try not to
duplicate areas of inquiry. To the extent we do, it will
either be to raise a new point, or further to Mr.
Duncanson's point. Sometimes there were preambles that
aren't evidence. And so, we may be asking questions of
clarification to make sure things are actually on the
record as evidence. Thank you.

Still Williams speaking, and good morning,
Mr. Somji, Mr. Bullen, Ms. Weeden, Mr. McLachlin, Dr.
Eshraghian, and Mr. Bundrock, and just for you, I from
time to time will be directing specific questions to a
member of the panel, but always feel welcome to join in

1 and gang up on me if that's what -- what you prefer to do,
2 and I'm just mindful of the competitive business that
3 you're in, and potential commercial sensitivity. And so,
4 I do not expect to ask any questions that require
5 commercially sensitive information, but if I inadvertently
6 do so, you'll just stop the inquiry, and I'll chat it over
7 with your lawyer. And so, just be mindful of that, but
8 I'll do my best not to trench upon that area, okay?

9

10 Most of my questions will be to AECOM or
11 Stantec, but just to give Sio Silica -- Sio Silica some
12 practice, and I will ask a few questions from you in -- in
13 a few minutes. For AECOM, groundwater in the vicinity of
14 the project is typically sourced from aquifer zones either
15 within the red river carbonate formation, the limestone,
16 or the Winnipeg sandstone formation, agreed?

17

18 MR. MCLACHLIN: This is Doug
19 McLachlin. So, this panel is a geotechnical panel, and
20 it's to review the geotechnical assessment, the stability
21 of the cavern, the design. There will be a water panel,
22 and so I would defer that to colleagues who are on the
23 water panel.

24

25 MR. WILLIAMS: Williams speaking.

1 Sir, I'm quite familiar with that, but as a basic
2 groundwork for this -- for this for -- for you, this is
3 something you're familiar. You know that these sources of
4 groundwater are from those two aquifers, agreed? This is
5 not contentious.

6
7 MR. MCLACHLIN: This is Doug
8 McLachlin. I'm a geotechnical engineer, and I'm working
9 on the geotechnical assessment as part of this panel. We
10 have AECOM colleagues who are on the groundwater panel,
11 and they will be addressing all the questions related to
12 groundwater.

13
14 MR. WILLIAMS: Thank you. In terms
15 of the extractive activities to Stantec, the focus of the
16 extractive activities will be at the -- focused in the
17 Winnipeg sandstone aquifer, agreed? You're going into the
18 sandstone, that's where you're pulling the ---

19
20 MR. BUNDRICK: Steve Bundrock. It --
21 that's correct. We're in the Winnipeg formation in the
22 sand.

23
24 MR. WILLIAMS: And to Sio Silica and
25 mindful of your company overview yesterday, you've told

1 Manitoba that you envision a multi-generational mining
2 project, agreed?

3

4

MR. SOMJI: Yeah. That's correct.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WILLIAMS: And from Williams, you
expect to be mining silica from the sandstone aquifer for
at least 24 years, agreed?

MR. SOMJI: It's Feisal Somji from Sio.
Yes, that is our anticipation.

MR. WILLIAMS: And I'd like to turn
to AECOM figure 1.1 revised. And this question obviously
can either go to Sio Silica or to AECOM. If we look at
figure 1.1, Williams speaking, we can see that the 24 year
project is bounded by the purple, agreed?

MS. WEEDEN: This is Laura Weeden from Sio
Silica. Yes, the outer purple outline is the 24 year
anticipated mine life.

MR WILLIAMS: Williams here. And
the initial target of your multi-generational project is
silica sand from the Winnipeg sandstone aquifer southwest

1 of the hamlet of Vivian, correct? First ---

2

3 MS. WEEDEN: Laura Weeden. Yes, it's south
4 and southwest.

5

6 MR. WILLIAMS: And if we look into
7 the top right corner, the northeast corner of figure 1.1
8 revised, and recognizing that this is from your original
9 application and not your revised application, we'll see
10 the area bounded in red is the initial target that it was
11 the subject of the Environmental Act Proposal, agreed?

12

13 MS. WEEDEN: Laura Weeden. Yes.

14

15 MR. WILLIAMS: And we'll come back to
16 this in a minute, but you amended your initial plan in
17 January of 2023? Williams speaking.

18

19 MS. WEEDEN: Laura Weeden. Yes, as ---

20

21 MR. WILLIAMS: That was my fault, Ms.
22 Weeden. I apologize.

23

24 MS. WEEDEN: As a result of the updated
25 table nine.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WILLIAMS: Williams again. And Ms. Weeden, after the first four years of extraction, you intend to progress further from the processing facility each year within blocks of land adjacent to previous extraction wells, correct?

MS. WEEDEN: Laura Weeden. Yes, however, I will note that this is more a permitting discussion, which is slated for a different panel.

MR. WILLIAMS: Williams. Ms. Weeden, if we look at the -- at the broad multi-generational project encompassed in the purple, it would be fair to say that the initial project for which licensing was sought is a relatively small proportion of that, agreed? About -- about a sixth, and I'm sorry for cutting you off.

MS. WEEDEN: Laura Weeden. I'd have to calculate if a sixth exact, but yes. Again, I think we're kind of on the permitting discussion right now.

MR. WILLIAMS: Just a couple more questions, Ms. Weeden, and I'm mindful of your caution, but we're trying to be efficient as well. I wonder if we

1 can go to the notice of -- of the revised extraction plan
2 please. And specifically, page four. Williams speaking.
3 Ms. Weeden, if we look at the revised extraction plan,
4 you'll see an area bounded in yellow, and you'll agree
5 that that was the area that was provided in the initial
6 environmental assessment proposal presented to the
7 department, correct?

8

9

MS. WEEDEN: Laura Weeden. Yes.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WILLIAMS: And the area in pink,
Williams speaking, is your current extraction plan as
amended in January of 2023, agreed?

MS. WEEDEN: Laura Weeden. Yes.

MR. WILLIAMS: And again, recognizing
permitting comes in a couple days, that's a relatively
small proportion of your overall 24 year multi-
generational plan, correct?

MS. WEEDEN: Laura Weeden. Yes, that --
that new revised extraction plan is a slightly less
surface area than the original yellow outline.

1 MR. WILLIAMS: Just a couple more
2 questions to Sio Silica, and we'll be directing your
3 attention to slide 13 of your company overview, exhibit
4 H002. And focusing on this slide, Sio Silica. When you
5 discuss the taxes, the payrolls, the royalties, and the
6 municipal charges flowing from the Vivian Project, you
7 were presenting them on this slide as over the 24 year
8 lifespan, agreed?

9

10 MR. SOMJI: This is Feisal Somji from Sio.
11 Yeah. As per the slide notes, it's over a 24 year mine
12 life, and that's a -- that's a typical analysis that's
13 generally done in all mining projects looking at a -- a
14 24, 25 year mine life.

15

16 MR. WILLIAMS: Thank you. And if we
17 turn to slide 14, Williams speaking, still of exhibit
18 H002, the company overview. Again, when you're talking
19 about the 1.4 billion dollars in capital and operating
20 expenses, again, you're looking at the multi-generational
21 project, the 24 year mine life, correct?

22

23 MR. SOMJI: Again, this is an analysis
24 done for a 24 year mine life. That's correct.

25

1 MR. WILLIAMS: I'm not sure if the --
2 Williams speaking. I'm not sure if this question goes to
3 AECOM or to Sio Silica, but in the course of this
4 proceeding, the proponent has referenced and reply -- and
5 relied upon four reports of Stantec, including Stantec
6 2019, Stantec '20, Stantec 2021, and Stantec 2022,
7 correct?

8
9 MS. WEEDEN: If you are talking about the
10 references listed -- sorry, it's Laura Weeden. If you're
11 talking about the references listed in the EAP, that --
12 that is correct.

13
14 MR. WILLIAMS: And specifically in
15 the segment on geology, section 6.21 of the EAP, Sio
16 Silica references and relies upon exclusively Stantec
17 2019, Stantec 2020, and Stantec 2021, agreed? Williams
18 speaking.

19
20 MS. WEEDEN: Laura Weeden. I'm going to
21 have to double check because ---

22
23 MR. WILLIAMS: Will you accept that
24 subject to check and then we can come back to it if -- if
25 -- if the answer is ---

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MS. WEEDEN: I would like to just double check.

MR. WILLIAMS: Thank you. It's section 6.21 under geology and topography. Williams speaking.

MS. WEEDEN: Laura Weeden. Mr. Williams, can you please repeat the question?

MR. WILLIAMS: For the purposes of your EAP and specifically referring to section 6.21, geology and topography, the proponent sited and relied upon Stantec 2019, Stantec 2020, and Stantec, 2021, agreed? Williams speaking.

MS. WEEDEN: Laura Weeden. Yes.

MR. WILLIAMS: Indeed, for the purpose -- Williams speaking. Indeed for the purposes of your EAP, Environmental Assessment Program, Proposal, EAP, we'll use that acronym, anyways, you did not have Stantec 2022 available, correct?

1 MS. WEEDEN: Laura Weeden. Correct. We
2 filed the EAP in 2021.

3

4 MR. WILLIAMS: For Stantec and
5 referring specifically to the family of reports being
6 Stantec 2019, Stantec 2020, and Stantec 2021, as part of
7 the analysis that stands, that did, you analyzed the cap
8 rock, and explored extraction cavity shear failure model
9 stability, agreed?

10

11 MR. ESHRAGHIAN: Arash Eshraghian.
12 Agree, yes.

13

14 MR. WILLIAMS: And for AECOM or -- or
15 Sio Silica, for the purposes of section 6.21, geology and
16 topography, you can -- included that the impacts to
17 geology were assessed as being minor, correct?

18

19 MS. WEEDEN: Laura Weeden. AECOM
20 permitting team did the assessment. So, that question
21 would be better suited for the permitting team when
22 they're sitting up here.

23

24 MR. WILLIAMS: It's a pretty
25 fundamental point going to geotechnology, isn't it? That

1 the impacts are -- were -- were minor? Williams speaking.

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BULLEN: It's Brent Bullen with Sio Silica. Some of the questions you have are best suited for some of the experts that aren't sitting here, and they'll be made available to you at the appropriate time. It's not perfectly -- I don't think it's acceptable to ask questions outside of scope that's going to be covered in some of the committees when we're making them available to you.

MR. WILLIAMS: Stantec -- Williams speaking. Stantec 2019, Stantec 2020, and Stantec 2021 have not been filed on the record of the CEC proceeding, agreed?

MS. WEEDEN: Laura Weeden. Agreed.

MR. WILLIAMS: And to Sio Silica, and Sio Silica is not prepared to provide these earlier Stantec reports being 2019, 2020, and '21, even to hearing participants if they agree to sign a non-disclosure agreement, agreed?

MS. WEEDEN: Laura Weeden. I believe that

1 was covered in one of the motions that was sent prior to
2 the hearing, and I will note that those documents have
3 been sent to the mines branch. So, the mines branch has
4 seen them, but they are -- we are not prepared to release
5 them at this time.

6
7 MR. WILLIAMS: And it would be
8 correct, Williams speaking, to suggest that within the
9 Stantec family reports of 2019, 2020, and 2021, there was
10 geotechnical modeling information that was relied upon by
11 Sio Silica for the purposes of its -- of it's proposal
12 under the environment act, agreed? Williams speaking.

13
14 MS. WEEDEN: Laura Weeden. Yes. The
15 section 6.2.1 that you were referring to largely contains
16 the -- or the geotechnical excerpt from that larger
17 document that mostly contains financial information.

18
19 MR. WILLIAMS: Williams speaking.
20 You're not suggesting that within section 6.2.1 that the -
21 - the sheer scale modelling performed by Stantec is -- is
22 presented in that material, agreed?

23
24 MS. WEEDEN: Sections -- Laura Weeden.
25 Section 6.2.1 contains a small summary, yes. I will note

1 that the current Stantec 2022 supersedes all of the other
2 previous models.

3

4 MR. WILLIAMS: Williams speaking.

5 And thank you for that. And in fact, Stantec would agree
6 that the 2019, 2020 Stantec report, and the 2021 report
7 have been overtaken by Stantec 2022, correct?

8

9 MR. BUNDROCK: Steve Bundrock. Yes,
10 that's correct.

11

12 MR. WILLIAMS: You no longer rely
13 upon those earlier Stantec reports for the purposes of the
14 EAP, agreed?

15

16 MR BUNDROCK: Steve Bundrock. 2022 does
17 supersede those other documents, however, the previous
18 information does contain the previous reports, have design
19 basis information, they're effectively building blocks
20 towards the 2022 final revision. Our intention with 2022
21 was to provide a comprehensive standalone report.

22

23 MR. WILLIAMS: Thank you. If we can
24 turn, it's Williams speaking, to Silica's response to
25 public comments, and specifically to the exert from the

1 Stantec 2022 report, table two attachment A around PDF
2 page 86, and I actually want to go to the first page of
3 that document. Thank you. The executive summary. To
4 Stantec, and backing away from the specifics of this
5 report for a second, in terms of typical failure
6 mechanisms for crown pillars, Carter in 2014 sets out a --
7 a number of categories to analyze those typical failure
8 mechanisms, agreed? At a high level, that's pretty basic.

9

10 MR. ESHRAGHIAN: Arash Eshraghian.

11 Yes, I agree.

12

13 MR. WILLIAMS: And again, leaving
14 aside Stantec 2022, as part of its earlier reports for Sio
15 Silica, Stantec previously analyzed the cap rock and
16 extraction cavity shear failure mode stability, agreed?

17

18 MR. ESHRAGHIAN: Yes, sir. Sorry,
19 Arash Eshraghian. Yes, that's right.

20

21 MR. WILLIAMS: And doctor, I
22 apologize, that was me cutting you off. That's Williams
23 being rude inadvertently. As part of that earlier
24 analysis by Stantec 2019, 2020, and 2021, you also made
25 some simplistic assumptions in terms of the subservice

1 excavations, agreed?

2

3 MR. ESHRAGHIAN: Yes. Arash

4 Eshraghian. Yes.

5

6 MR. WILLIAMS: But in those earlier
7 reports, Williams speaking again, being Stantec 2019,
8 Stantec 2020, and Stantec '21, you did not examine the
9 bending tensile failure mode, correct?

10

11 MR. ESHRAGHIAN: Arash Eshraghian.

12 Yes, correct.

13

14 MR. WILLIAMS: And so, what you did
15 in -- Williams speaking, in Stantec 2022, excuse me, is
16 model an -- at least a couple of categories of risk of
17 failure modes, including the shear failure mode and the
18 bending tensile failure mode, correct?

19

20 MR. ESHRAGHIAN: Yes. We further
21 developed the shear failure mode as well. The last three
22 added the -- the bending failure mode category.

23

24 MR. WILLIAMS: And as set out,
25 Williams speaking, in the famous Stantec table nine of

1 Stantec 2022, Stantec now concludes that the bending
2 tensile is a controlling failure mechanism to determine
3 the long term allowable span, agreed?

4

5 MR. ESHRAGHIAN: Arash Eshraghian.

6 Yes, I agree.

7

8 MR. WILLIAMS: Williams speaking.

9 And -- and perhaps we could go just a couple of pages onto
10 table nine, which I believe is at Stantec page 33. Thank
11 you. Williams speaking. Sticking with table nine, and in
12 estimating the extraction disturbance zone dimensions, you
13 assumed extraction depth was 20 metres, agreed? It's
14 right in the footnotes if Stantec is wondering.

15

16 MR. ESHRAGHIAN: Arash Eshraghian.

17 Yes, that's the revised depth for extraction. That was 20
18 metre. That was a revised depth, 20 metre.

19

20 MR. WILLIAMS: Okay. And -- and
21 thank you, doctor. And just -- I think I heard you say
22 that that was a revised?

23

24 MR. ESHRAGHIAN: Yes, that's correct.

25 The earlier versions, they had simplified assumptions for

1 the shape, as well as depth, and in this version, we
2 refined the depth, and also side wall.

3

4 MR. WILLIAMS: And in the earlier
5 assumptions, what was the assumed extraction depth,
6 doctor? Williams speaking.

7

8 MR. ESHRAGHIAN: Arash Eshraghian. I
9 can't exactly recall. It was maybe 10 or 15 metre. We
10 can check in.

11

12 MR WILLIAMS: Yes. And -- and Williams
13 speaking, to the panel, I'll ask for an undertaking to
14 provide from the previous analysis the extraction depth
15 assumed in the modelling. Thank you. Is that undertaking
16 satisfactory, Mr. Duncanson?

17

18 MR. DUNCANSON: It's Sander Duncanson
19 speaking. That's acceptable, Mr. Chairman.

20

21 MR. WILLIAMS: Williams speaking.
22 And -- and doctor, you noted -- I -- I'll suggest to you
23 that the other change in assumptions was with the
24 extraction zone side wall, is that correct?

25

1 MR. ESHRAGHIAN: Arash Eshraghian.

2 Yes, that's correct.

3

4 MR. WILLIAMS: And Williams speaking,
5 for the purposes of Stantec 2022, you're assuming that the
6 extraction zone side wall slope is 65 percent, which you
7 calculate based upon a friction -- 65 degrees, excuse me,
8 which you calculate based upon a friction angle of 35
9 degrees, and then -- and as well as the estimated cohesion
10 of 220 kilopascals, agreed? Williams speaking.

11

12 MR. ESHRAGHIAN: Arash Eshraghian.

13 Yes. That was back calculated by calculation model. Yes.

14

15 MR. WILLIAMS: Williams speaking.
16 We'll come to the back calculation briefly in just a
17 second. In terms of the previous analysis, can you share
18 what the extraction zone side wall slope was estimated to
19 be in the -- in the -- in the reports prior to Stantec
20 2022?

21

22 MR. ESHRAGHIAN: Arash Eshraghian.

23 There was -- there was assumed a slope based on assumption
24 of disturbed sand. After we did the side scan sonar data,
25 we revised that assumption to 65 degree. That was the

1 process.

2

3 MR. WILLIAMS: Williams speaking.

4 And just in -- in terms of the assumed aslope of the -- of
5 the sand in the previous study, what was it, 35 degrees?

6

7 MR. ESHRAGHIAN: Arash Eshraghian. It
8 was 31 degrees.

9

10 MR. WILLIAMS: Williams speaking.

11 And I don't mean to repeat the very interesting
12 conversation you had with Mr. LeNeveu and Dr. Hollander
13 yesterday, but would it be correct to suggest that to
14 estimate the possible cohesion component of the sand
15 strain -- sand strain, the sand deposit strength was back
16 calculated using the sonar survey data on the post
17 extraction cavity, agreed?

18

19 MR, ESHRAGHIAN: That is -- Arash
20 Eshraghian. That is -- that is correct in a sense, but
21 there was a -- like a refinement process. It's not just
22 based on side scan sonar data. We consider it as a full
23 scale test in place, and we believe this is accurate
24 assessment.

25

1 MR. WILLIAMS: Williams speaking.
2 And I don't want to get into too much detail on this, but
3 the point you're trying to suggest is that there were
4 additional refinements I think is -- that's what I heard
5 you say, sir?

6
7 MR. ESHRAGHIAN: Arash Eshraghian.
8 What I'm trying to explain is there was a process. It was
9 not just assumption. It was a full scale test. We see it
10 as a full scale test.

11
12 MR. WILLIAMS: And in essence what
13 you did sir was you took the -- the sonar from the short
14 term slope, and you made certain assumptions, and taking
15 into account a -- a residual -- a residual value whenever
16 it was strained to 0.05 percent? I'm probably going into
17 too much details here, so I'm going to pull this question.
18 Williams asking a better -- oh, sorry sir. Yeah. Getting
19 too far into the weeds. Williams speaking. Your back
20 calculation was based upon the sonar from a single bore
21 hole being BRU92-2, agreed?

22
23 MR. ESHRAGHIAN: There was additional
24 information directly and indirectly feed into the
25 assessment as well. For example, our SPT data that we

1 shared this morning, the experiences with similar sand
2 deposits in similar environment, so experience with those
3 material properties, and the -- the side sonar data
4 provided information for a full scale test -- (inaudible)
5 full scale test, and all these added to the refined back
6 calculation of the -- the Carman Sand parameter. So, all
7 of these were -- were considered. It's not just single
8 point. But when all these parameters, they -- they're in
9 agreement, we get more and more confidence in -- on the --
10 on the estimation. Yes.

11

12 MR. WILLIAMS: Williams speaking.
13 And sir, in terms of the solar -- sonar, excuse me,
14 analysis that you relied upon, focusing exclusively like
15 that -- on that, that came from a single bore hole being
16 BRU92-2, agreed?

17

18 MR. ESHRAGHIAN: Arash Eshraghian.
19 It's actually two bore holes. They showed similar
20 behaviour 92-2 and the other one was 92-8 I -- I believe,
21 but we selected -- we -- we selected 92-2 for detail
22 analysis.

23

24 MR. WILLIAMS: Thank you. I wonder
25 if we can go now back to the notice of revised extraction

1 plan, Williams speaking, January 2023, PDF page four
2 please. And to Sio Silica, again, just to orientate
3 ourselves, Williams speaking, outlined in yellow is the
4 original proposed extraction area submitted in the EAP,
5 agreed?

6

7

MS. WEEDEN: Laura Weeden. Yes.

8

9

MR. WILLIAMS: And I'm perhaps going
10 to torture, Williams speaking, my understanding of
11 colours, but in the pink is the revised extraction plan.

12

13

MS. WEEDEN: Laura Weeden. Yes.

14

15

MR. WILLIAMS: Williams speaking. I
16 was afraid you were going to -- to correct me on my
17 colours but thank you for not doing so. And Mr. Bullen
18 may have answered this earlier, but if we look in the top
19 left corner of the -- the -- the -- the visual, we see
20 that Sio Silica is no longer planning in the first licence
21 to extract from BRU93, Williams speaking, agreed?

22

23

MS. WEEDEN: Laura Weeden. Correct.

24

25

MR. WILLIAMS: Williams speaking.

1 Ms. -- Ms. Weeden, in terms of BRU93, what makes it
2 unworthy of -- for extraction?

3
4 MS. WEEDEN: Laura Weeden. I think this
5 morning when I went over that chart that explained sort of
6 the iterative process that we went through, I mentioned
7 that we did some additional exploration drilling, and we
8 updated our geological model, and when we did that, that
9 yellow area of 93, we hadn't drilled any wells in that
10 area, and we focused our drilling further south. So, we
11 haven't had a chance to do additional drilling in that
12 area. So, we decided to move further south.

13
14 MR. WILLIAMS: Williams speaking.
15 And Ms. Weeden, just so I'm -- I'm clear, you updated your
16 modelling by Stantec 2022 and some additional analysis,
17 agreed? That was my fault.

18
19 MS. WEEDEN: Laura Weeden. So, we have a
20 Geotech model that was updated, that's the table nine that
21 we're talking about. Over the summer we also updated our
22 geological model, which was shown in the PowerPoint
23 yesterday, maybe slide four or five, that colourful map,
24 that was updated this summer following the update from the
25 Geotech so that we could refine our extraction plan. So,

1 when we did our additional drilling, we -- we did not have
2 a chance to drill in the 93 area. So, we chose to go with
3 areas that we were more certain because we had drilled
4 more wells in that area.

5

6 MR. WILLIAMS: With regard to BRU93,
7 were you uncertain whether that region met the revised
8 parameters provided by your geotechnical consultant team?

9

10 MR. BULLEN: Brent Bullen of Sio Silica.
11 Can you ask that question again please?

12

13 MR. WILLIAMS: With regard --
14 Williams speaking. With regard to your decision to
15 abandon BRU93 and the reference to uncertainty, were you
16 uncertain whether that region met the revised parameters
17 provided by your geotechnical consultant team?

18

19 MR. BULLEN: It's Brent Bullen with Sio
20 Silica. We actually feel it actually meets our economic -
21 - or sorry, not economic, our geotechnical parameters, but
22 we always do a drill ahead, and we look at the areas where
23 we actually have had activity. It's sound for us to
24 approach the process of getting our first four years
25 licenced in areas that we're very comfortable, we meet all

1 the parameters. We'd like to do further work, but we did
2 not drill that area. So, it's just a -- a question of
3 verification on drill, but we feel the area will meet with
4 the parameters of the geotechnical modelling, but it's
5 just more prudent to go ahead. I think you even said it
6 yourself in the opening statements, you know, you need to
7 be cautious as you move ahead. So, you know, in your
8 three points. We are cautious, we're cognizant of how we
9 proceed, and we're going in areas where we have absolute
10 certainty that we meet the parameters and model that we
11 can see so far.

12

13 MR. WILLIAMS: I forgive you, Mr.
14 Bullen. Williams speaking. With regard to BRU93, what
15 changed between you being confident in extracting from
16 that area in the original proposal, the Environmental Act
17 Proposal, to lead you to decide to abandon it? Like what
18 changed in terms of your level of confidence?

19

20 MR. BULLEN: It's Brent Bullen with Sio
21 Silica. Just to correct. It's -- it's not a level of
22 confidence. It's not that we lack a confidence in BRU93.
23 We've not abandoned BRU-93. We chose a methodology of the
24 first four years in our revised plan that actually works
25 on sound economic planning of movement of material. So,

1 when you look at the stage stepped approach that we've
2 provided in the new mines approach mining plan, we start
3 with single wells, we go to dual wells, we look at
4 building up, and we do south -- as we go south, it's just
5 more efficient to just keep everything in a line as you're
6 moving your sand. There's -- it's just an efficiency, but
7 92-3 is -- is not an abandoned platform for us. It's not
8 a write off. And ---

9

10 MR. WILLIAMS: And just for the
11 record, sorry, I believe you meant to say BRU, Williams
12 speaking, 93, rather than 923?

13

14 MR. BULLEN: Brent Bullen. You're correct.
15 I thank you for the clarification.

16

17 MR. WILLIAMS: To Stantec, Williams
18 speaking, you are familiar with the term full scale
19 extraction test, agreed?

20

21 MR. BUNDROCK: Yes, agreed. Steve
22 Bundrock.

23

24 MR. WILLIAMS: Indeed, you recommend
25 that Sio Silica, Williams speaking, undertake a full scale

1 extraction test in the executive summary of Stantec 2022,
2 correct? It's a Stantec recommendation.

3

4 MR. BUNDROCK: Steve Bundrock. So,
5 yes, there is a recommendation for full scale testing
6 while considering that full scale is intended to -- it's
7 targeting a volume, which is representative of
8 construction level work. We've also discussed the need to
9 assess multi well.

10

11 MR. WILLIAMS: Williams speaking.
12 And thank you for that answer. And sir, just to make sure
13 that I understand it, what you're saying is that in
14 seeking to understand the term full scale extraction test,
15 you understand it to involve both multiple wells, as well
16 as a certain volume, agreed?

17

18 MR. BUNDROCK: Yes. Steve Bundrock.
19 Agreed.

20

21 MR. WILLIAMS: Williams speaking.
22 And is full scale extraction test arcane tool of a Geotech
23 art, is that a commonly used nomenclature, sir?

24

25 MR. BUNDROCK: Steve Bundrock. Full

1 scale testing, yes, is a common nomenclature. In the case
2 of Sio Silica's project, it is a site specific usage.
3 What full scale testing might entail at a -- say in one
4 underground mine versus another underground mine would
5 vary.

6

7 MR. WILLIAMS: Williams speaking.
8 Now, the recommendation for full scale extraction tests
9 was made in January of 2022 in the Stantec 2022 report,
10 agreed?

11

12 MR. BUNDROCK: Yes, agreed. Steve
13 Bundrock.

14

15 MR. WILLIAMS: Williams speaking.
16 Did Stantec make any prior recommendation for full scale
17 extraction testing in the series of reports being Stantec
18 2019, Stantec 2020, or Stantec 2021?

19

20 MR. BUNDROCK: Steve Bundrock. There
21 were not recommendations at -- in those previous reports
22 for full scale testing. We were working through an
23 iterative process at that point, which typically involves
24 single wells to develop our understanding.

25

1 MR. WILLIAMS: So, in the analysis
2 underlying Stantec 2019, 2020, and 2021, there was no
3 examination of multi well extraction clusters in those
4 reports, agreed?

5
6 MR BUNDROCK: Steve Bundrock. So, Stantec
7 was aware of Sio's preliminary plans to complete multi
8 well extraction, however, in those earlier reports we were
9 not assessing multi well configurations. We were
10 considering those configurations and building up our
11 understanding of the area geotechnical conditions and
12 extraction conditions to feed into the design.

13
14 MR. WILLIAMS: Williams speaking.
15 And similarly, in Stantec 2022 there was no examination of
16 multi well extraction clusters, agreed?

17
18 MR. MCLACHLIN: This is Doug
19 McLachlin. Thank you for the question. So, the design
20 that has been done by Stantec is the geotechnical design
21 that comes up with the safe allowable span, and that
22 information is provided then to Sio, and then with their
23 development, they can determine based on the efficiency of
24 each well how many wells can extract that void space. So,
25 the work that's done by Stantec is independent of how many

1 wells it will take to remove that amount of sand at any
2 individual extraction location.

3

4 MR. WILLIAMS: Williams speaking.

5 I'm sure that answer is helpful, but I just want to have
6 my question answered. And in terms of Stantec 2022, just
7 so I'm clear, there was no examination of multi well
8 extraction clusters, agreed? Simple point.

9

10 MR. BUNDROCK: Steve Bundrock. So,
11 answering your question directly, we don't agree. In
12 fact, in one case we completed subsidence monitoring for a
13 multi well configuration. We also considered the
14 interaction between wells, which is -- is considered and -
15 - and reported. Whether or not we -- yeah, and to further
16 clarify, we did not run a model of multi well
17 configurations.

18

19 MR. WILLIAMS: Thank you. Williams
20 speaking. In using down -- excuse me, in using down hole
21 side scan sonar data to develop design parameter, Stantec
22 assumes that the results of that down hole side scale --
23 side scan sonar of the cavity after mining is
24 representative of the probable behaviour of the void
25 during full scale mining, agreed?

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. BUNDROCK: Steve Bundrock. Yes,
agreed.

MR. WILLIAMS: Williams speaking. In
using sediment monitor data to develop design parameters,
Stantec assumes that the result of settlement monitoring
to data are representative of probable settlement during
the full scale mining and the long term, agreed?

MR. BUNDROCK: Steve Bundrock. Yes,
agreed.

MR. WILLIAMS: To Sio Silica,
Williams speaking, it would be fair to suggest that Sio
Silica wants to be first out of the gate in terms of Sio's
-- or in terms of silica extraction in the region, agreed?

MR. SOMJI: I don't think it's a fair
assessment to say we want to be the first out of the gate.
We're following a normal course business plan and
timeline, and it's -- it's looking to try to produce a
product that is increasingly in demand worldwide.

MR. WILLIAMS: And with no --

1 Williams speaking, with no judgement involved, Sio Silica
2 opposed public release of the entirety of Stantec 2022 in
3 part because you had concerns that it could be used by a
4 competitor in the development of a competing project,
5 agreed?

6
7 MR. SOMJI: It's Feisal Somji. I agree
8 that we -- we were restrictive on the release due to a
9 competitive nature. I don't know what you mean or -- or
10 if you could define what you mean by a competitor in the
11 region, which is what I think you said.

12
13 MR. WILLIAMS: Williams speaking.
14 Let me try it a different way sir just to make sure that
15 we're on the same page. Sio Silica was opposed to
16 releasing Stantec 2022 in its entirety because it was
17 concerned that the information in it could be used by a
18 competitor seeking to enter the silica extraction market
19 in the same approximate area where -- where you're seeking
20 to -- to -- to act.

21
22 MR. SOMJI: It's Feisal Somji. We do
23 agree that it's because we were worried about a
24 competitive nature by our peers, however, it could be used
25 in a variety of competing projects, not just within

1 Manitoba, but outside as well.

2

3 MR. WILLIAMS: Williams speaking.

4 But it was reasonably foreseeable to you that that
5 information could indeed be used by a competitor in
6 Manitoba and in this region, agreed?

7

8 MR. SOMJI: It's Feisal. I think I've
9 answered that question.

10

11 MR. WILLIAMS: Well, just so I'm
12 clear sir, are you saying you don't expect potential
13 competitors for silica extraction in this region?

14

15 MR. SOMJI: It's Feisal Somji here. I
16 didn't say that. What I said is we were worried about
17 competitive behaviours both within Manitoba and outside of
18 Manitoba.

19

20 MR. WILLIAMS: Thank you. I
21 appreciate that, and I may have asked the question
22 imprecisely previously, so I appreciate the clarification.

23

24 THE CHAIRMAN: Chair speaking. We
25 are rounding the area. How are we doing?

1

2

MR. WILLIAMS: Williams speaking.

3

4

5

I'm pretty confident that we'll be closing this cross examination on or about 12:30, if that works for the panel.

6

7

8

THE CHAIRMAN: Chair. Thank you very much. That would be excellent.

9

10

11

12

MR. BUNDROCK: Steve Bundrock. Maybe out of order. Can I pause for a washroom break?

13

14

15

16

17

THE CHAIRMAN: Chair.

18

19

20

THE CHAIRMAN: Chair. So, we have our full panel back. So, let's get back to it please. Mr. Williams, the floor is yours again.

21

22

23

24

25

MR. WILLIAMS: Williams speaking.

And -- and thank you, Mr. Chair. To Sio Silica, you were seeking a patent for your sand extraction method, agreed?

1 MR. BULLEN: Brent Bullen. Agreed.

2

3 MR. WILLIAMS: And in essence, you're
4 trying to patent the apparatus for extraction from
5 unconsolidated sandstone formations, is that right, sir?
6 At a high level.

7

8 MR. BULLEN: Brent Bullen, Sio Silica. The
9 patent is actually for unconsolidated material from an
10 aqueous born or fluid born formation below grade.

11

12 MR. WILLIAMS: Williams. Thank you
13 for that answer, which was much better than the question.
14 So, thank you. And Sio -- William speaking again. Sio
15 Silica wants to patent your invention because if granted
16 patent protection, it would stop others from making,
17 using, or selling your invention for a certain period of
18 time, agreed?

19

20 MR. BULLEN: Brent Bullen. Agreed.

21

22 MR. WILLIAMS: If we could turn to
23 second round information request of the Clean Environment
24 Commission number 14. And specifically, appendix A to --
25 to that response.

1

2

3

MR. BULLEN: Brent Bullen. Can you just specify the -- what I'm looking at here?

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WILLIAMS: I was going to situate you, and we're going to actually go to page -- PDF page three of this, but this is the response second round information request of -- of this Clean Environment Commission, number 14, sir. Does that assist? And specifically I'm going to direct your attention to the results of the sonar. Is that helpful, Mr. Bullen?

MR. BULLEN: Yes, it is. Thank you.

MR. WILLIAMS: And sir, at a high level as part of its activities on this extraction process, Sio Silica commissioned sonar surveys at the BRU928, and BRU922 extraction wells, agreed?

MR. BULLEN: Brent Bullen. Agreed.

MR. WILLIAMS: Williams speaking. And for the purposes of our conversation, Mr. Bullen, just to situate you, we're going to focus on the results from 928, okay? And sir, you would agree, William speaking,

1 that BRU928 was surveyed during extraction after 3,500
2 tonnes had been removed, correct?

3

4 MR. BULLEN: Brent Bullen. Agreed.

5

6 MR. WILLIAMS: Williams speaking.

7 And that would be called operation one, correct?

8

9 MR. BULLEN: Brent Bullen. Correct.

10

11 MR. WILLIAMS: Excuse me, Williams
12 speaking, BRU928 was again surveyed after extraction of
13 4,200 tonnes was seized again. Sorry, let me try that
14 again, let me ask that better, Mr. Bullen. As operation
15 two, sonar surveys were taken after the extraction of
16 4,200 tonnes from BRU928, agreed?

17

18 MR. BULLEN: Brent Bullen. Agreed.

19

20 MR. WILLIAMS: Williams speaking.

21 And sir, there were follow up surveys performed at one
22 month post extraction, and that was known as operation
23 three, and at four months post extraction, which was known
24 as operation four, correct?

25

1 MR. BULLEN: Brent Bullen. Correct.

2

3 MR. WILLIAMS: And sir, it is these
4 reports from those surveys, operations one through
5 operation four, that we can find in appendix A, agreed?
6 Williams speaking.

7

8 MR. BULLEN: Brent Bullen. Agreed.

9

10 MR. WILLIAMS: And directing your
11 attention to PDF page three, sir, you'll see at the top of
12 this page the title, "Mean Radius", agreed?

13

14 MR. BULLEN: Brent Bullen. Agreed.

15

16 MR. WILLIAMS: And the term mean here
17 is not some commentary on the temperament, but it -- mean
18 is referring to the average radius, agreed?

19

20 MR. BULLEN: Brent Bullen. Agreed.

21

22 MR. WILLIAMS: In essence, what this
23 graphic provides is a display of the mean radius of the
24 cavern found in operations one and two based upon sonar,
25 correct?

1

2

MR. BULLEN: Brent Bullen. Correct.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WILLIAMS: And sir, if you direct your attention to the bottom right hand corner of -- of this -- of this page, you'll see that operation one is depicted by a blue line, correct?

MR. BULLEN: I apologize. My copy's in black and white, but I'm ---

MR. WILLIAMS: Sir -- sir, with your lawyers permission, I'll approach you with a colour copy, which may expedite things. And just for the panel and for Mr. Duncanson, I have shared with Mr. Bullen PDF pages three, 10, and 17 in colour just to assist the discussion.

MR. BULLEN: Do you want this back?

MR. WILLIAMS: Mr. Bullen, I'm going to give that to you. That'll be our contribution to Sio Silica. Sir, again, directing your attention to the -- just one second. We'll just wait for the panel to have the display before it. Sir, just going back to the question now that we have the documents before everyone.

1 You'll see in the bottom right hand legend of PDF page
2 three that operation one is depicted by a blue line,
3 correct?

4

5 MR. BULLEN: Brent Bullen. Correct.

6

7 MR. WILLIAMS: And operation one,
8 again William speaking, was a sonar survey taken part way
9 through extraction after the removal of 3,500 tonnes,
10 agreed?

11

12 MR. BULLEN: Brent Bullen. Agreed.

13

14 MR. WILLIAMS: Williams speaking.
15 Operation two, sir, is depicted by the red line, correct?

16

17 MR. BULLEN: Brent Bullen. Correct.

18

19 MR. WILLIAMS: And again, operation
20 two was the sonar survey taken immediately following the
21 conclusion of extraction or -- or in a short time after
22 the conclusion of extraction with the total sand extracted
23 prior to operation two being 4,200 tonnes, agreed sir?

24

25 MR. BULLEN: Brent Bullen. Agreed.

1

2

MR. WILLIAMS: And just to orientate ourselves, sir, to this chart, the scale on the left side of it depicts depth underground, correct? On the Y axis.

5

6

MR. BULLEN: Brent Bullen. Correct.

7

8

9

10

MR. WILLIAMS: And of course it's labelled, Williams speaking, in increments of 10 feet, agreed?

11

12

MR. BULLEN: Brent Bullen. Correct.

13

14

15

16

17

MR. WILLIAMS: And the dotted lines mark increments of five feet, and each little dot marks increments of one foot, correct?

18

19

MR. BULLEN: Brent Bullen. That's what I see on the grid. Yes.

20

21

22

23

MR. WILLIAMS: And sir, Williams speaking, we see the same scale and labelling on the X axis along the bottom, correct?

24

25

MR. BULLEN: Brent Bullen. Correct.

1

2

MR. WILLIAMS: Williams speaking.

3

4

5

And sir, directing your attention to the zero foot mark -- mark on the X axis, that signifies that that was the location of the bore hole, agreed?

6

7

MR. BULLEN: Brent Bullen. Agreed.

8

9

MR. WILLIAMS: Williams speaking.

10

11

12

13

14

And sir, if you take -- if we go straight up from there at a depth of 180 feet, you'll see two blue triangles, which signify the location of the end of the extraction casing, agreed?

15

16

MR. BULLEN: Brent Bullen. Agreed.

17

18

19

20

21

22

MR. WILLIAMS: Williams speaking.

And what this graph is intended to do, sir, is present the mean or average radius of the cavity created by the sand extraction in operations one and operations two relating to BRU928, correct?

23

24

MR. BULLEN: Brent Bullen. Correct.

25

MR. WILLIAMS: Any by presenting this

1 average radius, Williams speaking, in combination with the
2 depth presented on the Y axis, we get a sense of the size
3 and depth of the cavity created by the sand extraction,
4 agreed?

5

6 MR. BULLEN: It gives us a indication of
7 the size of the -- the cavity that we can actually sonar
8 at that time.

9

10 MR. WILLIAMS: Thank you for that.
11 And sir, directing your attention along the line at 100 --
12 a depth of 184 feet, we see based upon this table that the
13 cavity both for operation one and operation two appears to
14 have a bottom at a depth of 184 feet, agreed?

15

16 MR. BULLEN: The 184 feet is indicated
17 bottom of the sonar capacity.

18

19 MR. WILLIAMS: And sir, if we move
20 vertically up from that, the ceiling for both operations
21 one and two would be at a -- would be at a depth of
22 roughly 165 to 166 feet, agreed?

23

24 MR. BULLEN: Brent Bullen. Agreed.

25

1 MR. WILLIAMS: And without wanting to
2 get too precise in the math, Williams speaking, the
3 average radius of operation one would be about 28 feet,
4 agreed? At its widest point, sir.

5

6 MR. BULLEN: And I know. I know. I'm
7 looking at it. It's just you have a curvature, so you've
8 got -- you know, you've got a -- a width of 25 to 27 feet.
9 So, I mean ---

10

11 MR. WILLIAMS: Thank you. And that's
12 a better answer than the question. Operation two, the
13 width would be a little wider, right? Agreed?

14

15 MR. BULLEN: Brent Bullen. Agreed.

16

17 MR. WILLIAMS: Now that we've
18 orientated ourselves, we're going to scroll to PDF page
19 ten please. Williams speaking. Mr. Bullen, directing
20 your attention again to the legend in the bottom right
21 corner, you'll agree that this page shows us the same
22 information, but it is for operation two and operation
23 three, correct?

24

25 MR. BULLEN: I apologize, Mr. Williams. I

1 was just conferring. Can you please ask that question
2 again?

3

4 MR. WILLIAMS: Yes. And no need to
5 apologize, sir. Directing your attention to the legend in
6 the bottom right hand corner, you'll agree, Williams
7 speaking, that it is performing the same type of analysis,
8 but now we're looking at operation two and -- and
9 operation three.

10

11 MR. BULLEN: Brent Bullen. Correct.

12

13 MR. WILLIAMS: And again, operation
14 three would be about a month later than operation two,
15 correct?

16

17 MR. BULLEN: Brent Bullen. Correct.

18

19 MR. WILLIAMS: And sir, again, the
20 blue line being operation two is the same information as
21 we saw for operation two on PDF page three, correct?

22

23 MR. BULLEN: Brent Bullen. Correct.

24

25 MR. WILLIAMS: And the red you'll

1 agree, Williams speaking, represents operation three,
2 correct?

3

4

MR. BULLEN: Brent Bullen. Correct.

5

6

7

8

9

10

11

MR. BULLEN: Brent Bullen. Correct.

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. WILLIAMS: Williams speaking.
So, if you look at operation two, the floor was one 184
feet roughly, and the ceiling at 165 to 166 feet, correct?
Same as it was on the last page.

MR. BULLEN: Brent Bullen. Correct.

MR. WILLIAMS: By contrast, operation
three in the red, we see that the -- the -- the floor is
at about 183 feet, but we see the top of the cavity
opening up such that the opening extends up to a depth of
161 feet approximately, agreed sir?

1 MR. BULLEN: Brent Bullen. Agreed.

2

3 MR. WILLIAMS: Williams speaking.

4 Just above the middle of the page on the right hand side,
5 Mr. Bullen, you'll see in green, language referring to the
6 shale formation. Do you see that, sir?

7

8 MR. BULLEN: Brent Bullen. I do.

9

10 MR. WILLIAMS: And what that tells us
11 is that there was a -- a shale formation as represented by
12 the green line at 166 feet, correct?

13

14 MR. BULLEN: Brent Bullen. I think you
15 meant to say 166? It sounded like 156.

16

17 MR. WILLIAMS: Oh. Then thank you
18 for correcting me. Let me ask that again. The shale
19 green line is at 166 feet. Williams speaking.

20

21 MR. BULLEN: Brent Bullen. Correct.

22

23 MR. WILLIAMS: And when we look at
24 the red line being operation three above the green line,
25 that tells us that the cavity has opened up into the shale

1 formation, correct?

2

3 MR. BULLEN: Brent Bullen. Correct.

4

5 MR. WILLIAMS: And moving to the top
6 of operation three, it looks like there's approximately
7 five feet of height in the cavity that is a result of
8 shale rather than sandstone fallen into the cavity,
9 agreed?

10

11 MR. BULLEN: I see a small portion of it at
12 five feet. Sorry, Brent Bullen speaking.

13

14 MR. WILLIAMS: Williams speaking. If
15 we can now turn to page 17 please. Mr. Bullen, again, and
16 for the last time I promise you, directing your attention
17 to the legend in the bottom right corner, you'll agree,
18 Williams speaking, that we see operation three in blue
19 being one month after the extraction, and operation four
20 in red being four months after the extraction, correct?

21

22 MR. BULLEN: Brent Bullen. Correct.

23

24 MR. WILLIAMS: And focusing on
25 operation four, sir, in the red, you'll see the bottom of

1 the cavity appears to be at approximately 162 feet,
2 agreed?

3

4 MR. BULLEN: Sorry, you said of operation
5 four?

6

7 MR. WILLIAMS: I suggested, Williams
8 speaking, that operation four, the bottom of the cavity as
9 depicted in red appears to be at about 162 feet?

10

11 MR. BULLEN: Brent Bullen. Correct.

12

13 MR. WILLIAMS: And again, referring
14 your attention to operation four in red, it is opened up
15 as high as a depth of 149 feet, agreed?

16

17 MR. BULLEN: Brent Bullen. Agreed.

18

19 MR. WILLIAMS: And sir, at a high
20 level, Williams speaking, you see the cavity migrating
21 upward as the material above it falls and fills up the
22 bottom when we compare operation four versus operation
23 three, correct?

24

25 MR. BULLEN: I can see the cavity opening -

1 - Brent Bullen. I can see the cavity opening up above. I
2 can't comment on the migration of material though.

3

4 MR. WILLIAMS: Sir, directing your
5 attention again to the right of PDF page 17, you'll see,
6 sir, that there are two lines now for shale formation,
7 Williams speaking, and suggesting to you one at a depth of
8 166 feet, and one at a depth of 156 feet, agreed?

9

10 MR. BULLEN: Brent Bullen. Agreed.

11

12 MR. WILLIAMS: And sir, what the two
13 green lines tell us, Williams speaking, and suggesting to
14 you is that the shale formation in this location at the
15 time of drilling was about ten feet thick, correct?

16

17 MR. BULLEN: Brent Bullen. Correct.

18

19 MR. WILLIAMS: And sir, with the
20 upper portion of the shale formation being at 156 and the
21 red line depicted -- depicting operation four being at 149
22 feet, it is clear that the cavity has now migrated from
23 the shale into the carbonate limestone layer, agreed?
24 Williams speaking.

25

1 MR. BULLEN: Brent Bullen. What I see is a
2 new cavity with a base floor at 161 feet -- 162 feet.
3 Brent Bullen. If I'm looking at operation four.

4
5 MR. WILLIAMS: And Mr. Bullen, what
6 I'm suggesting to you is when we look to the ceiling,
7 Williams speaking, of operation four, it is now moved
8 through the shale formation and into the limestone
9 carbonate, agreed sir?

10
11 MR. BULLEN: Brent Bullen. Agreed.

12
13 MR. WILLIAMS: Williams speaking.
14 Approximately the highest eight feet of the cavity are now
15 surrounded by limestone, rather than sandstone or shale,
16 agreed?

17
18 MR. BULLEN: Define the highest peak. I
19 mean, obviously there's a portion of it above. Yes.
20 Sorry, Brent Bullen.

21
22 MR. WILLIAMS: And Mr. Bullen, it's
23 probably just because it's late in the morning, but I
24 think you said yes, and I just couldn't hear you.

25

1 MR. BULLEN: Sorry, Brent Bullen. I
2 thought I answered the question. Maybe ask me the
3 question again.

4

5 MR. WILLIAMS: The top eight feet of
6 the cavity, sir, are now surrounded by limestone, rather
7 than sandstone or shale, agreed?

8

9 MR. BULLEN: Brent Bullen. I see seven
10 feet above the shale. So ---

11

12 MR. WILLIAMS: So, you're -- you're
13 just correcting me, Williams speaking, you're saying seven
14 feet instead of eight feet then.

15

16 MR. BULLEN: Brent Bullen. I just want to
17 make sure we're both looking at the exact portion of the
18 diagram you're trying to refer to on my questioning.

19

20 MR. WILLIAMS: Williams speaking.
21 Have subsequent sonar scans been undertaken at BRU92.8?

22

23 MR. BULLEN: Brent Bullen. No.

24

25 MR. WILLIAMS: Williams speaking.

1 What is the thickness of the carbonate limestone at this
2 location?

3

4 MR. ESHRAGHIAN: Arash Eshraghian. The
5 thickness of limestone at this location is 14.9 metre.

6

7 MR. WILLIAMS: Thank you. And in
8 terms of the -- what is the remaining thickness of
9 competent limestone at this location?

10

11 MR. ESHRAGHIAN: Arash Eshraghian. The
12 -- the comparison between the shale location and the top
13 of the cavity shows approximate seven foot, or almost less
14 than around two metres of limestone has been collapsed.
15 So, we have additional 12 metre of limestone also above.

16

17 MR. WILLIAMS: And doctor, I think I
18 heard you say there was 12 -- 12, and if I misheard you, I
19 apologize.

20

21 MR. ESHRAGHIAN: Arash Eshraghian.
22 Total limestone thickness is 14.9 metre. Two metres has
23 been collapsed so far, so more than 12 metre is -- is
24 remaining.

25

1 MR. WILLIAMS: Mr. Chair, and to the
2 panel, and to the Silica panel as well, I just have a few
3 short snappers left to finish -- finish us off, and Mr.
4 Bullen, I thank you for your kindness, Williams speaking,
5 in going through that material with me. It's much
6 appreciated. And Mr. Chair, if you'll give me just a
7 second to gather my notes, I'm referring to ---

8
9 THE CHAIRMAN: Chair. Can I ask what
10 your anticipated duration remaining is? We -- we may be
11 well to break.

12
13 MR. WILLIAMS: I'm going to guess,
14 Williams speaking, about ten to 15 minutes.

15
16 THE CHAIRMAN: Chair. We are
17 adjourning for lunch. We'll regroup in 45 minutes.

18 THE CHAIRMAN: Chair. Welcome back,
19 everyone. I think we'll get started. So by way of a
20 little preamble, Byron has indicated he has a question or
21 two left. Those will be short snappers, and then there is
22 a desire to go in camera. And so the process for that
23 would be that anyone that has not signed an NDA regarding
24 the Stantec 2022 report -- and I will leave it to Sio
25 Silica to be the arbiter of who -- who does and who

1 doesn't get to remain in the room, or at least we'll have
2 a discussion, then we'll -- we'll proceed from there. So
3 there'll be a short break after Byron, you're done, and
4 then we will pick it up.

5
6 MR. WILLIAMS: Yes. Williams
7 speaking, and good afternoon to the panel. And my
8 apologies, we probably could've finished up at 12:32, so
9 for any inconvenience, I'm sorry for that. I would like
10 to direct the -- the -- the panel to your Geotech
11 assessment summary PowerPoint from yesterday, which would
12 be Exhibit H-001. And specifically to page -- Slide 7.
13 And on Slide 7 -- Williams speaking, I would direct your
14 attention to Table 3 and the LaMaque Mine -- L-A-M-A-Q-U-
15 E, Mine -- and suggest to the witnesses that the LaMaque
16 Mine is an Archean, A-R-C-H-E-A-N, Greenstone hosted
17 orogenic, O-R-O-G-E-N-I-C, low gold deposit mine. Would
18 you agree with that?

19
20 MR. BUNDRICK: I'm sorry, I can't
21 confirm that, but ---

22
23 MR. WILLIAMS: Williams speaking.
24 I'm suggesting to you that that is a gold mine and -- and
25 doesn't involve extraction and boring -- piercing of

1 limestone. You're not in a position to agree or disagree?

2

3 MR. BUNDROCK: Steve Bundrock, I'm
4 not in a position to agree or disagree because I'm not
5 familiar with that specific mine. It is a mine that
6 Stantec has worked on. Myself and Arash in particular
7 have not worked on there -- that particular site.

8

9 MR. WILLIAMS: With thank you to the
10 panel and -- and to the Clean Environment Commission,
11 those are our questions. Thank you very much.

12

13 THE CHAIRMAN: Chair, thank you very
14 much. So, we will now go in camera. So, let's sort of
15 take five minutes to execute that. If you have not signed
16 an NDA, a Non-disclosure Agreement with Sio Silica, I will
17 ask that you please leave the room. We will reconvene
18 after about 45 minutes of questioning is my anticipation.

19

20 (OFF THE RECORD: 1:25 P.M.)

21 (ON THE RECORD FOR IN-CAMERA PROCEEDINGS: 1:38 P.M.)

22

23 (OFF THE RECORD: 2:13 P.M.)

24 (ON THE RECORD: 2:20 P.M.)

25

1 THE CHAIRMAN: Following discussions
2 this morning, the CEC has further questions that we would
3 like to ask of the Geotechnical Panel before they're
4 dismissed and we sign in the Hydrogeology and Geochemistry
5 folks. So on behalf of the CEC, Hartmut, over to you.

6
7 MR. HOLLANDER: Hartmut Hollander.
8 First of all, I'd like to thank you for the work which you
9 have done yesterday to -- to add some data, and I wanna
10 come back to your -- what the sampling of the sandstone.
11 You measured -- mentioned this morning that it is not
12 possible with freezing that you get a disturbed samples
13 because of the expansion of the water. And I would like
14 to mention that this was done a couple of times and
15 they've shown that inside the inner side of the core, this
16 is not happening. So if I reference here to the work of
17 (inaudible) Professor of -- in hydrology at the Technical
18 University of Jena, he did this even in unconsolidated
19 soil -- sense at the -- in the Danube River at fully
20 saturated conditions, and you will find a lot of papers in
21 this directions where they analysed in the end the -- the
22 sediments talking about fines, we talk about gravel, we
23 talk about sand. So, that is something which is possible.
24 My question here is, you did start what engineers do, we
25 use good models, we use physical based models and when we

1 don't have this data, we calculate them, and that is what
2 you also fairly discussed yesterday is that you estimated
3 this parameter. Still there was a lot of discussion
4 whether that what -- what -- what you estimated is that
5 what also would be there in situ. So, there are
6 potentially ways. Also, we talked today about triple
7 lining. Whether Sio would be interested or would be
8 agreeing to that, that this data -- yeah, evaluated and
9 added to your calculations.

10

11 MR. BUNDRICK: Steve Bundrock.
12 Hartmut, can you clarify the data and the particular data
13 you're looking for -- you're asking?

14

15 MR. HOLLANDER: Yeah. So, in the end,
16 one of the things which we always discussing in this
17 geotechnical part is, how -- how large could be this --
18 this void come after some time of settling? So, you have
19 done your sonar measurements after one month, four months,
20 and certainly also shorter after -- after this
21 interaction. But what happens after one year, two years?
22 And so we rely there on your models which is fair, that's
23 what -- what -- what we do in the end to predict
24 something, but certainly for this prediction we want as
25 good data as possible so that we can support our modeling

1 results. And when we discuss here about total duration of
2 24 years for this mine, I think it would be worth to -- to
3 get a good understanding whether that what you back
4 calculated there is also that what we will find in the --
5 in the field.

6
7 MR. MCLACHLIN: Doug McLachlin. So
8 yes, we mentioned that there will be a -- a -- a TARP,
9 Trigger Action Response Plan. As part of that, there will
10 be ongoing assessment of the -- the size, the slopes in
11 the -- in the cavity and -- and that sort of thing. That
12 information will be provided to the regulator, yes.

13
14 MR. HOLLANDER: So that means you will
15 continue the site sonar in this void which you have --
16 which you have used after longer time period?

17
18 MR. BULLEN: It's Brent Bullen. On the
19 existing wells, we don't know if we can go back in and
20 sonar them at this time. The reason we didn't do further
21 sonaring when we originally were working on the modelling,
22 is we are at a point where we were not allowed to continue
23 future and current work in the field 'cause we were
24 getting ready for the CEC and the Mines Branch had
25 actually asked us to cease operations until we -- 'til

1 further time. So, you know, we missed -- we've missed
2 that opportunity on this well, on 92-8, but you know, as
3 was mentioned on the chart plan going forward, obviously
4 it's part of future work.

5
6 MR. HOLLANDER: Thank you. Hartmut
7 Holland again. I would like to come to a second topic.
8 We saw today of the -- the collapse of the caprock, in
9 this case the shale and also partially the -- the
10 limestone. I would like to ask whether that, what we saw
11 in the limestone, was the area of a fractured limestone or
12 whether it was a comp competent limestone?

13
14 MR. ESHRAGHIAN: Arash Eshraghian. We
15 expect a portion of limestone in contact with shale will
16 be -- is -- is to some degree fractured. So, most of
17 these failed material that you see here is potentially the
18 fractured limestone.

19
20 MR. HOLLANDER: Hartmut Hollander.
21 Thank you. You were so kind yesterday to support us with
22 some well construction reports. And I look here at the
23 one which is from Brew 961, and this is just an example I
24 expect. But if you look at the material description, it
25 is written, Till, till, gravel with boulders, till,

1 gravelly till, gravel, limestone, shale, sandstone, shale.
2 So, there is no information about the fractured zone, how
3 large they are. My question is -- and this was done by
4 Friesen Drillers -- is this information available for
5 every well and is it also available to the public, where
6 the fractured zones are?

7
8 MR. BULLEN: It's Brent Bullen with Sio
9 Silica. Just -- I'll get back one sec here. These --
10 these are actual well construction reports that are filed
11 with the well regulators, and they are available. You
12 know, we made it available 'cause it was clear that Mr.
13 LeNeveu through his access to information, for some reason
14 didn't have them, but they are a filed report that's --
15 that's made available to the public.

16
17 MR. HOLLANDER: Hartmut Hollander.
18 Thank you very much. I have one more question on that, so
19 on -- so on this one is giving the drilling team, and the
20 first one who is the leading person is Manson Friesen (ph
21 00:07:36) in this case. Manson Friesen is not a
22 professional engineer, and also not a professional
23 engineer -- geoscientist, I mean, sorry. Who was
24 supervising this well?

25

1 UNKNOWN SPEAKER: Sorry, can you
2 rephrase the question? 'Cause I -- I ---

3
4 MR. HOLLANDER: Yeah, so yesterday I
5 asked a question whether the boreholes -- the 48 boreholes
6 which you did were supervised by a professional engineer
7 or professional geoscientist, and they are generally also
8 signing off on the borehole report. The one which is
9 stated in this report here is Manson Friesen and Brenton
10 of Lasnik (ph 00:08:13). And generally, the first person
11 should be the one who is the key person, and I know that
12 Manson Friesen is not a professional engineer, not a
13 professional geoscientist.

14
15 MS. WEEDEN: This is Laura Weeden. So, I
16 just wanna clarify -- the well construction reports are
17 filed by the water well drillers who drill the wells
18 separate from that, and all of the wells that are drilled,
19 you don't -- they didn't need to be a professional
20 engineer, professional geologist to drill the well and
21 file the well construction report. This is a normal
22 operation for water well drilling in Manitoba. We did
23 have a professional geologist on site from Sio at the time
24 of these wells being drilled.

25

1 MR. HOLLANDER: Okay. So, Sio was
2 supervising every of these wells? Oh, sorry -- Hartmut
3 Hollander. Was Sio supervising every of these wells when
4 they're drilled?

5

6 MS. WEEDEN: Laura Weeden. Are you asking
7 if Sio supervised all wells or just this one?

8

9 MR. HOLLANDER: All the ones which you
10 use for your analysis.

11

12 MS. WEEDEN: Laura Weeden. Either a
13 professional engineer, a professional geologist from Sio,
14 or -- and/or a professional engineer, professional
15 geologist from Stantec or AECOM was present during all of
16 the wells that were drilled.

17

18 MR. HOLLANDER: Hartmut Hollander,
19 thank you very much. My last block of questions is
20 related to -- also the failure of the shale. You were
21 presented with the mitigation plan and the aversion to
22 abandon wells. So under the Drilling Regulation of The
23 Mines and the Mineral Acts, you have -- there are
24 regulations how to drill and to seal a well. And the
25 sealing of the well is described as the -- or related to

1 that closing this -- this annulus in that area where the
2 shale is. When the shale collapses, is there another way
3 how geotechnically you can stabilise this borehole and
4 close this afterwards -- after the -- yeah, after you
5 finished mining?

6

7 MR. BULLEN: It's Brent Bullen from Sio.
8 We'd like to defer that question to the water side because
9 it's part of the water.

10

11 MR. HOLLANDER: That's fair, thank you
12 very much.

13

14 THE CHAIRMAN: Chair. Thank you very
15 much. I believe we are done with the geotechnical team.
16 So, let's proceed to swear in the next team.

17

18 (OFF THE RECORD: 2:32 P.M.)

19 (ON THE RECORD: 2:35 P.M.)

20

21 THE CHAIRMAN: Chair. Are we ready
22 to proceed? Very good. So, I forgot to thank Steve,
23 Arash, and Doug for their time spent with us. So, thank
24 you. So, Peter, over to you.

25

1 MR. CROCKER: Secretary. So, we'll just go
2 down the -- the line of the new -- of the new panel. So,
3 you can please state your name starting at my right,
4 please.

5

6 MR. HARVEY: Dougall James Miln Harvey.

7

8 MR. MILLS: Ryan David Mills.

9

10 MR. ELEMINE: Cheibany Ould Elemine.

11

12 MR. MEUZELAAR: Tom Meuzelaar.

13

14 MR. CROCKER: Secretary. So, you've all
15 chosen to affirm. Do you, Ryan, Miln, Cheibany and Tom,
16 solemnly affirm that the evidence to be given by you shall
17 be the truth, the whole truth, and nothing but the truth?

18

19 MR. HARVEY: I do.

20

21 MR. MILLS: I do.

22

23 MR. ELEMINE: I do.

24

25 MR. MEUZELAAR: I do.

1

2

MR. CROCKER: Secretary, thank you.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

THE CHAIRMAN: Chair, thank you very much. So can I get an estimate of how long this presentation is?

MR. MILLS: Ryan Mills. It's approximately an hour and 15 minutes or so.

THE CHAIRMAN: Chair. All right, so we're 30 some minutes from sort of our mid break. So let's go halfway through it and we'll take a brief break and finish it up and we may even get into some questions.

MR. MILLS: Thank you, Ryan Mills. So thank you everybody, panel, and -- and our participants here for -- for joining us today. I'm a hydrogeologist with AECOM and -- and I've been with the company approximately 20 years. I'm happy to -- to hear this many people interested in groundwater, I'm not quite used to that. So, I'll be here leading -- leading off the presentation and then I will pass it to -- to Miln and then Cheibany for the various sections of our -- of our hydrogeology and geochemistry assessment.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

THE CHAIRMAN: Chair. Can I get you to lean in or speak up a little bit please? Let's not be timid.

MR. MILLS: Ryan mills. With that, I'll introduce the technical panel. And that consists of myself, Ryan Mills, I'm a -- a professional geoscientist with a background in Earth -- Earth sciences and -- and mining and water supply. I'm registered here in Manitoba as well as Alberta and British Columbia. On my left, your right is -- is Dr. Miln Harvey, he has a doctorate in -- in civil engineering and hydrogeology, focused on groundwater modeling. He's a registered professional engineer here in Manitoba as well as Ontario, Nova Scotia. On my right, Dr. Elemine also has a PhD, this time in geochemistry, and he is registered as a professional geoscientist in -- in several provinces. And Dr. Tom Meuzelaar has a doctorate in -- from the Colorado School of Mines focusing on geochemistry. He is an independent reviewer that was engaged specifically to critique our work and evaluate whether or not we had met industry standard and whether or not there were any improvements that could be leveraged into future phases of the work. In addition to those present here today, there were others

1 that were engaged previously along the -- the process of
2 the evolution of this work. Namely, Dr. Grant Ferguson,
3 who has a PhD from the University of Manitoba, completed
4 his PhD work around the vicinity of Winnipeg on this
5 aquifer system. He is now a professor at the University
6 of Saskatchewan with a background in hydrogeology and
7 geochemistry. And so, we engaged him for his specific
8 knowledge in this area and this system that we are here to
9 speak of today. And -- and we received his comments and
10 disposed of those comments throughout the -- so, he
11 reviewed our draft report and we addressed those comments
12 to his satisfaction in the completion of the finalization
13 of our work. A number of other people named here, many of
14 them registered in -- in British Columbia or other
15 provinces, all with backgrounds and advanced degrees in
16 geosciences and engineering, contributed not only to the
17 field work and the data collection of the raw data, but
18 also the analysis, interpretation, numerical modeling and
19 reporting of that work, including several levels of
20 internal and external review throughout the -- the process
21 of work. And so that is a matter of due course in the
22 preparation of any technical deliverables that we
23 undertake, and we're -- we're happy to say we added
24 additional levels of rigour on the project by engaging
25 external reviewers. We also conducted this work with a

1 view of the local acts and regulations that pertain to --
2 to -- to the practice of geoscience and engineering and --
3 and water resources in general in Manitoba and mining.
4 Namely we have the Mines and Minerals Act, we have the
5 Environment Act, and we have the Groundwater and Well Act,
6 and the Water Rights Act. And so, there are -- there are
7 others that were also considered, this is a -- a summary
8 list of those most relevant to our work. They are
9 supported by several regulations including the Drilling
10 Regulation, the Groundwater and Well General Matters
11 Regulation and -- and the Well Standards Regulation that
12 I'm -- I'm sure we'll discuss more. We followed -- during
13 the -- the collection of the data, we followed industry
14 standard methods listed there. And -- and also in the
15 interpretation and numerical modelling and geochemical
16 modeling aspects of our work, we considered both
17 provincially and internationally recognized guidelines
18 that were followed in the -- the completion of the work.
19 You know, these are guidelines that are developed for
20 application in industry and -- and those were followed by
21 experienced professionals, and -- and -- and many of them
22 are listed here. So with that, I'll move into a -- a
23 brief description of the field investigation that was
24 undertaken. It is, you know, covered at length in the --
25 the -- the hydrogeology and geochemistry assessment. And

1 the goal of the -- the field investigation was to, you
2 know, characterize the subsurface, estimate aquifer
3 properties, and do that by replicating a field scale, you
4 know, pumping quantity on the aquifer. And we also wanted
5 to see if -- if water quality may or may not be impacted
6 by -- by these activities. And so, you know, we -- we
7 undertook a drilling investigation to install instruments
8 in the carbonate aquifer, the -- the shale and the
9 sandstone aquifer. We completed a well survey, we logged
10 those boreholes, we surveyed them, we collected soil and
11 rock samples for laboratory testing and field
12 characterization, we installed a pumping well and several
13 observation wells that incorporated existing private
14 domestic use wells in the area. So, some homeowners
15 allowed us access to their wells, and those were
16 instrumented to monitor both groundwater levels and
17 groundwater quality. And then we conducted some slug
18 tests, and slug tests -- sorry, aquifer testing -- that
19 consisted of initially slug tests where we estimated local
20 scale hydraulic properties or hydrogeological properties
21 of the aquifer in proximity to those individual monitoring
22 wells to understand maybe the spatial distribution of
23 hydraulic properties throughout the aquifer, based on the
24 wells that we've -- we'd -- we'd installed recently. Then
25 we conducted a step test to help understand the -- the

1 rate at which we might be able to pump the -- the newly
2 installed pumping well, and -- and then conducted or
3 undertook a 72 hour or 68 hour constant rate pumping test
4 to simulate, you know, the impacts of -- of -- of -- of
5 groundwater extraction over a period of several days. And
6 this is -- this is sort of analogous to sort of a -- a --
7 a -- a medium scale, you know, groundwater well. Based on
8 the results of -- of that field data that was collected
9 over the period of approximately a one month field
10 investigation, that information in addition to data
11 obtained from a very extensive literature review, you
12 know, including review of perhaps 30 papers or more and
13 academic references and -- and papers that had been
14 produced and doctorate thesis -- theses and otherwise. We
15 synthesized a conceptual hydrogeological model for the
16 project area. And really the conceptual hydrogeological
17 model, we've heard the term model quite a bit over the
18 past few days and there will be more models discussed.
19 The conceptual hydrogeological model describes a
20 conceptual understanding of the groundwater flow system
21 and it is based on incorporation of several different
22 sources of data. That includes regional geologic mapping
23 of quaternary sediments and -- and bedrock. It includes
24 information obtained from both federal and provincial
25 borehole and well databases. It includes measured

1 groundwater elevations from that borehole -- those same
2 borehole databases and our field investigation. It
3 describes a conceptual understanding of hydro stratigraphy
4 and groundwater flow directions that integrates both these
5 regional studies that have been conducted by others and
6 our work. And then it -- it conceptually describes the
7 interaction between groundwater and surface water systems
8 -- so, streams and rivers and lakes -- and then
9 characterizes measured groundwater quality from the
10 Provincial Observation Well Network and wells that were
11 sampled as part of our investigation. This is what the
12 end product of that looks like in -- in three dimensions.
13 So, you are looking at a conceptual representation of a
14 three dimensional geologic model and the -- the different
15 colours represent the different geological units. Working
16 from the bottom up, you see the pink which is the
17 Precambrian Canadian Shield rock. Above that we have the
18 Winnipeg Sandstone in yellow. Above that we have the
19 Winnipeg Shale that we -- we've heard discussion of in
20 black. Above that in green is the Red River Carbonate
21 formation, and of course the quaternary sediments above
22 that. When we think about groundwater flow, we -- we have
23 included a figure prepared and presented many times over
24 in the academic literature that shows the -- the -- the
25 sedimentary sequence in the overall basin and we're

1 focusing in on the red box. So, we -- the red box is --
2 is conceptualized or it -- it -- it -- it considers the
3 area to the east of -- of -- of the Red River, and -- and
4 out to the Sandilands area to -- to the east of here. So,
5 there are two regional groundwater flow systems in
6 southern Manitoba, one that flows to the east and
7 northeast from recharge areas in the northern US, and that
8 is primarily on the west side of the Red River. And then
9 there's a -- a second intermediate system in southeastern
10 Manitoba where we're all sitting today, and that
11 groundwater recharges in the Sandilands area and flows to
12 the -- the west and northwest toward the Red River and the
13 Red River Floodway, primarily with some discharge to Lake
14 Winnipeg. These two flow systems are thought to converge
15 near the Red River or beneath the Red River, and they --
16 that also marks a -- a -- a -- a separation between on the
17 basis of water quality, with fresher water to the east of
18 the Red River, and more saline water to the west. The
19 mapped groundwater elevations also support -- support that
20 conceptualization. And with that, I'll pass -- pass the
21 presentation to -- to Dr. Harvey, to my left, to discuss
22 the -- how that conceptual model was translated into a
23 numerical model.

24

25

MR. HARVEY: So, what Mr. Mills describes

1 is all of the data and historical information we have to
2 conceptualize the groundwater flow system. A conceptual
3 model can tell us everything about what's happened in the
4 past, but it cannot predict into the future. In order to
5 do that, we need to do a numerical model, and a numerical
6 model is simply a mathematical representation of our
7 conceptual model that allows us to make predictions. So,
8 the numerical model that we developed was a regional scale
9 groundwater flow model developed using commonly used
10 industry software called FEFLOW. FEFLOW is just an
11 acronym that means Finite Element Flow, and it's used by
12 many consultants to do similar groundwater modeling
13 studies. The model domain is considered regional because
14 it's approximately 3200 square kilometres. And if you --
15 you take a look at the image on the right, you can see the
16 black line represents the outer boundary of our model
17 domain. From southeast to northwest, it's approximately
18 80 kilometres, and from northwest to south -- sorry,
19 northeast to southwest, it's approximately 40 kilometres.
20 The modelling process translates the conceptual model into
21 a numerical -- numerical framework that allows us to
22 calculate groundwater levels, draw down, and groundwater
23 flow paths, and to simulate future responses to either
24 natural or anthropogenic changes to boundary conditions.
25 In developing the model, we represent the hydrologic

1 boundaries as natural boundary conditions. For example,
2 groundwater recharge is where water enters the groundwater
3 flow system and groundwater at rivers and extraction
4 wells, we have groundwater water exiting the groundwater
5 flow system. FEFLOW is commonly used to do this type of
6 hydrogeological analysis. It's commonly used for
7 developing numerical models to do this kind of
8 hydrogeological analysis. And I'd like to -- I'd like you
9 to think about a weather forecasting model. This is
10 somewhat similar to a weather forecasting model, only a
11 lot more reliable. We have very good -- we have all the
12 data we need, and very good data to help us develop the
13 conceptual model, which then is translated into a
14 mathematical representation that makes us to make -- that
15 allows us to make predictions into the future, somewhat
16 similar to a -- a weather forecasting tool. So, that --
17 the groundwater model domain. The model domain was
18 defined using natural hydrologic boundaries. As Mr. Mills
19 mentioned, to the -- the southeast, we have the Sandilands
20 recharge area. That's where a good portion of the water
21 enters the intermediate flow system -- groundwater flow
22 system in the -- the southeast of Manitoba. To the
23 northwest -- or northeast and southwest, we've got the
24 Hazel Creek and the Seine River, two natural water bodies
25 where discharge occurs. And ultimately to the northwest,

1 we have the Red River and the Red River Floodway, which
2 are considered groundwater flow divides in previous
3 modelling studies, and we've used these as the -- the --
4 the place where groundwater and the intermediate flow
5 system naturally discharges. So, these boundary
6 conditions are where water naturally enters and exits the
7 -- the groundwater flow system that we're trying to model.
8 And these boundary conditions are far enough away from our
9 area of interest -- so our area of interest for the
10 project is the red polygon in the middle. Note that it's
11 at least ten kilometres away from any boundaries, and
12 that's important from a modeling perspective because we do
13 not want our boundary conditions to be impacting any of
14 our predictions. So, that's the reasoning for the -- the
15 regional scale size of this model domain. As Ryan
16 mentioned, the conceptual model has four hydro
17 stratigraphic units that are of interest. We've got the
18 quaternary sediments, and in the model, we represent that
19 with three layers -- Layers 1, 2, and 3. So, that --
20 quaternary sediments are the -- the -- the sand, silt and
21 gravel, the unconsolidated material that sits above
22 bedrock. Layers 4,5 and 6 are the sedimentary bedrock
23 layers, and that's the Red River Carbonate, which is Layer
24 4, the Winnipeg Shale which is Layer 5, and the Winnipeg
25 Sandstone which is Layer 6. There is Layer 7 in the

1 model, which is the Precambrian bedrock, but because its
2 connectivity is very, very low, it contributed very little
3 water to the -- to the intermediate groundwater flow
4 system, and so we consider it to be a basal aquitard. In
5 other words, a place where groundwater is -- is
6 essentially -- it's essentially a no flow. In order to
7 confirm that the -- this mathematical representation of
8 the hydrogeological environment does a good job of
9 simulating observed conditions, we do what's called model
10 calibration. And model calibration is simply a way of
11 adjusting the parameters and boundaries in the model so
12 that we can match historically observed groundwater
13 conditions, like water elevations in monitoring wells --
14 we can match those to the value simulated by the tool. If
15 -- if our modelling tool can predict what we observe in --
16 in the conceptual model, then we deem it to be an
17 acceptable tool to make predictions into the future. We -
18 - we decide or we -- we judge how well we have calibrated
19 by using some -- some industry standard calibration
20 statistics. The first one we look at is the mean error in
21 -- of all of the observations of -- of groundwater head,
22 and there were approximately 2500 observation wells from
23 which we have groundwater elevations. On the right hand
24 side there is a map which shows a lot of little dots.
25 Every single one of those dots represents some kind of

1 water well or observation well in which we have an
2 observation of groundwater head. So, we have to match
3 2500 groundwater heads in the inset map -- or sorry, in
4 the inset Excel spreadsheet -- or Excel graph. In this
5 image, you can see a little graph showing some dots --
6 some dots on a graph. That -- that graph, the horizontal
7 axis is observed groundwater head from our conceptual
8 model, and the vertical axis is simulated groundwater head
9 from our model -- from our -- from our numerical model.
10 If they match, then a -- a -- a point on that graph will
11 exactly fit on the one to one line. So, we're trying to
12 adjust model parameters and boundaries in order to get all
13 of our observation points to -- to match the one to one
14 line. And -- and if you go into the report, the
15 Hydrogeological and -- and Geochemistry Assessment Report,
16 you will see a larger version of this map that -- or of
17 this graph that shows a very good -- fit -- fit --
18 visually, we get a very good fit between simulated and
19 observed. The statistics that -- that help us to describe
20 that are mean error, which is approximately three metres.
21 So, for a regional model that's very good, it should be
22 approximately zero metres. We want our mean error to be
23 about zero. To describe the spread of the data points
24 away from that one to one line, we have the normalized
25 root mean square error, which common industry standard is

1 -- is less than ten percent, for a good model, it should
2 be less than five percent. We achieved 1.7 percent. So
3 that means it's a very, very good clustering of all of
4 these data points along the one-to-one line. We also
5 wanna know if up and down that line -- we have data points
6 that are clustered very close to the one-to-one line --
7 and we use the correlation coefficient to -- to help us to
8 define that. A good correlation coefficient in any
9 analysis should be greater than 0.9. It should be in --
10 in -- in a very good analysis it should be greater than
11 0.95, and we achieved 0.99. And then finally, a numerical
12 model, which is a mathematical representation of -- of the
13 groundwater flow system, has water that enters and exits
14 the system. So, in any mathematical model, what enters
15 should equal what exits, and that's called a mass balance.
16 So, the -- the industry standard for a mass balance is
17 less than 0.1 percent, and we achieved a mass balance of
18 less than -- well, of 0.003 percent. By these statistics,
19 we have what's considered to be a very well calibrated
20 numerical modeling tool. The one other thing that we want
21 to do when we're comparing our numerical model back to our
22 conceptual model, is to compare the calibrated parameter
23 values in this -- in the numerical model, to the range of
24 possible input parameters that were estimated from all of
25 the field testing and historical information. So, I've

1 created a -- a nomograph, which is a little Excel graph
2 showing four columns. And each of those columns
3 represents a hydro stratigraphic unit which we're
4 representing the numerical model. So, on the -- the --
5 the first column is the quaternary sediments, the second
6 column is the Red River Carbonate, the third column is the
7 Winnipeg Shale, and the fourth column on the right is the
8 Winnipeg Sandstone. The -- the black line with the two
9 dots on the end is the -- the range of -- of values that
10 that have been provided in previous studies for the
11 parameter value for hydraulic connectivity. And the red
12 dots -- the red dots with little -- little yellow centres,
13 are the values of calibrated parameters in our -- in our
14 numerical model. And you can see that for each of the
15 units, the -- the value that we calibrated to give us our
16 best possible modeling tool is all within the expected
17 range of -- of -- of values from the conceptual model.
18 So, this means that model predictions are simulated within
19 expected bounds of the conceptual model, and the model is
20 therefore a useful tool for simulating future conditions
21 and evaluating impacts on groundwater quantity. A number
22 of times throughout the previous discussions we've talked
23 about sensitivity. Sensitivity is important in the
24 groundwater modelling process. It's the next step that we
25 complete when we're developing our -- our numerical model.

1 So, we did a sensitivity analysis in which we adjusted
2 each of the input parameters. So, recharge zones, the
3 values of the recharge, the hydraulic connectivity of the
4 most important units, the carbonate, the shale, and the
5 sandstone. And by adjusting them by small amounts, we
6 determined how that impacted the simulations. That does
7 two -- two things for us. One, it identifies the very
8 important data that we have to check to make sure we have
9 the model that's best characterized so that we can be
10 making valid simulations of -- of our output. And also,
11 if we have an understanding of how small changes in these
12 parameters impact output, we can make more conservative
13 decisions on operational design. Would you like to take a
14 -- a break now?

15

16 UNKNOWN SPEAKER: It is 3:00, but I'd
17 like to get a natural break. Are you (inaudible)?

18

19 MR. HARVEY: I'll keep going. It'll be --
20 it'll be about ten or 15.

21

22 UNKNOWN SPEAKER: Ten, or?

23

24 MR. HARVEY: Ten or 15. Okay, so the next
25 -- so we -- we've got a -- a calibrated tool. So, we have

1 -- we have a -- we have a conceptual model where we have
2 enough data to give us a good understanding of the
3 hydrological environment. We've taken that and we created
4 a mathematical tool called a numerical model and now that
5 model is calibrated -- well calibrated, and we did a
6 sensitivity analysis to understand how small changes in --
7 in -- in input parameters affect our output. So, now we
8 wanna make some predictions. The best way to approach
9 making predictions is to do a series of scenarios which
10 capture both conservative and non-conservative model
11 results. So, we -- we chose five scenarios. The first
12 three scenarios assume steady state conditions, and by
13 steady state what we assume is that all boundary
14 conditions can be represented by a single value which --
15 which equals the long term average value. So for example,
16 recharge is long term average recharge, and river levels
17 are long term river levels and pumping is long term
18 pumping well rates. The -- in Scenario 1 and Scenario 2,
19 we also considered the degradation of the Winnipeg Shale.
20 And by degradation, I mean that shale has the -- the
21 properties of shale have changed to cause intermixing
22 between the Red River Carbonate and the Winnipeg
23 Sandstone. And then in Scenario 1, we chose zero percent
24 reinjection. And so to -- to let you know a little bit
25 about that, let's take a look at -- for reinjection --

1 let's take a look at this green flow chart to understand
2 the water that -- the slurry that's pumped out and the
3 amount of water that we can -- can reinject. So, total
4 production of slurry includes both solids and groundwater.
5 And it -- it from -- from testing it's been shown that
6 it's about 50-50. So, 50 percent of the slurry is solids,
7 so we really only have 50 percent of the slurry available
8 to reinject, so we're at 50 percent right now. And then
9 when you drain a porous media, you can only drain enough
10 water -- you can't drain the -- the -- the -- a certain
11 amount of the water which is retained within the -- the --
12 the pore structure. So, we have specific retention which
13 is kept and for -- for this sand, it's about 15 percent.
14 So, 15 percent of the 50 percent water that's available is
15 retained in the sand that goes to the -- the -- the
16 facility and only 85 percent's available for reinjection.
17 Of that 85 percent of the 50 percent of water available,
18 we reinjected either zero or 50 percent. Zero, obviously
19 it's a very conservative value because Sio plans to
20 reinject all the water they produce, but to make good
21 conservative decisions, they've chosen -- we've chosen to
22 simulate zero percent reinjection. We've also chosen to -
23 - to simulate 50 percent reinjection to give you an idea
24 of how reinjection in -- reduces the -- the impact of --
25 of pumping. In order to simulate where the -- the --

1 where we can -- in order to simulate the distribution of -
2 - of impacts, we've assigned observation wells to the
3 model and when we -- when we turn on the -- the production
4 wells, we can then see the -- the spatial distribution of
5 -- of a drawdown. So, we're doing that -- that assessment
6 of -- of impacts using observation wells that we've
7 assigned in the model. On the -- this image shows -- it
8 shows two things. On the right hand side, we see an
9 aerial image showing some dots, and you've seen these dots
10 before -- they represent the operational plan for the
11 wells. Now this happens to be for the 2021 operational
12 plan. So, we have a full record of -- of all the
13 simulations that -- that take into account this
14 operational plan. And the colours are -- it's colour
15 coded to -- to show the times when wells are active and
16 when they stop being active. So, you will note a couple
17 things. On the -- on the left-hand side there are three
18 graphs, and each of those graphs -- the bottom axis is
19 time. So when you start on the left, you start at time
20 zero, and as you move over to the right, you're moving
21 forward in time. The middle -- the -- the upper graph
22 shows pumping, so each of those -- the -- the red line
23 shows when the wells are on and when the wells are off.
24 This is an important point. The wells are only operating
25 from early spring through summer to late fall. There is a

1 period of time in the winter for when all wells cease
2 operating, and we're gonna see from the results that this
3 has a -- a -- a very concrete and distinct impact on -- on
4 recovery. The groundwater levels will recover when the
5 wells -- when these wells are off. So, the impacts are
6 actually temporal impacts and we'll talk about that in a
7 minute. You can see in the bottom two graphs -- so, in
8 the middle graph we have the impacts to the Red River
9 Carbonate, and in the bottom graph we have impacts or
10 drawdown impacts to the Winnipeg Sandstone. When you have
11 -- this scenario here represents zero percent -- it's --
12 so it's simulation -- simulation number -- Scenario 1 with
13 steady state -- no, sorry, apologize. It's Simulation 4
14 where we've got transient pumping and we've got connection
15 between the Red River Carbonate through the -- the -- the
16 shale into the -- the pumped aquifer in the Winnipeg
17 Sandstone. So, we do have impacts occurring in the Red
18 River Carbonate, and we have much larger impacts occurring
19 in the -- the Winnipeg Sandstone. Next slide. This is a
20 plan view -- looking down from above, this is a plan view
21 of the -- these model results. In order to present them,
22 we had to pick some points in time. So, the -- each of
23 these images is -- is one static moment in time when we're
24 looking at a drawdown cone or a zone of influence. As I
25 stated a few slides ago, Scenario 1, which includes steady

1 state pumping and connection between the aquifers through
2 the shale and zero percent reinjection is the most
3 conservative simulation or scenario for the Red River
4 Carbonate, because we're allowing more connection between
5 the aquifers so that drawdown impacts can propagate into
6 the Red River Carbonate. So, you can see that the -- on
7 these -- on these images on the left we have Red River
8 Carbonate draw down, on the right we have Winnipeg
9 Sandstone drawdown. And the upper two are for zero
10 percent reinjection and the lower two are for 50 percent
11 reinjection. So, we can see a few things. First of all,
12 when you have zero percent reinjection, you have larger
13 circles. That means there's a greater impact. When you -
14 - when you reinject some amount of the available water,
15 you reduce these impacts. And because we have connection
16 between the Red River Carbonate through the shale into the
17 -- the sandstone, we do see an equivalent amount of
18 drawdown -- or a measurable amount of drawdown in the Red
19 River Carbonate given that the pumping is occurring in the
20 -- the Winnipeg Shale. And one last point to make --
21 lower net withdrawal rates will reduce the depth and
22 spatial extent of drawdown. In other words, as you
23 increase reinjection, you reduce the impacts to the -- to
24 the drawdown that's created by operational wells. Just
25 recently, we were provided with an update to the

1 operational plan for the wells and the -- the model is the
2 exact same. It contains the same boundary conditions
3 spatially, and it contains the same property distribution.
4 However, it has been updated to include a revised
5 extraction plan, which includes revised extraction
6 locations, extraction rates, and schedule. So, it's the
7 same model, but we've just changed the location of the
8 wells, the -- the well rates, and the schedule of when
9 they're turning on and turning off. And also -- we also
10 had to refine the -- the mesh. So, a finite element model
11 is designed with a mesh and the more you refine the mesh
12 the better it can predict. So, when we put a new well in,
13 we have to refine the mesh. It does not change the
14 property distributions, it just changes the calculation
15 points where we can calculate heads and calculate drawdown
16 and observe it in observation wells. It also has a number
17 of new groundwater observation points -- groundwater
18 observation wells that allow us to understand a better
19 idea -- give us a better understanding of the spatial
20 distribution of drawdown. And we did three -- we are
21 proposing to do -- we have completed and will complete
22 three scenarios. The first scenario is zero percent
23 reinjection of the 85 percent of the 50 percent of the
24 water that's available. So, basically 85 percent of all
25 the water that we can inject, we will. Sorry, I

1 apologize. Zero percent of the water available and then
2 50 percent of the water available is Scenario 2, and 100
3 percent of the -- of the water available we will -- will
4 reinject in Scenario 3. We've completed Scenarios 1 and
5 2, and we will provide those results. We're currently in
6 the process of simulating Scenario 3 and that will be --
7 be available a little later. And to compare the 2021 and
8 2023 operational plans, there's two images. On the right
9 -- on the -- the upper image shows how the wells were --
10 how the operational plan was designed in 2021, and you can
11 see it's changed significantly in 2023. That has no
12 impact on the structure or capability of the model, it's
13 just on how we assign wells to look at drawdown impacts.
14 And as I just stated before, we're gonna -- we're
15 proposing to simulate three scenario -- Scenario 1 is zero
16 percent reinjection, Scenario 2 is 50 percent reinjection,
17 and Scenario 3 is 100 percent rejection. And this is kind
18 of what things look like on the pumping rate graph. So,
19 again on the bottom is time starting at $t = 0$ and moving
20 forward as you move to the right. On the -- on the right
21 -- on the vertical axis, we see increasing pumping rate.
22 The 2021 groundwater model used the red line in the
23 middle. So, that was how the -- the pumping wells were
24 operated previously. There's been a slight shift in when
25 the wells start and end, and we've -- and the -- the well

1 rates have increased based on new information. So, the
2 2023 groundwater -- the -- the rates for the wells in the
3 2023 groundwater model with zero percent reinjection are
4 slightly higher than they were in -- in 2021. And then if
5 you check the -- the pink line on the bottom, you can see
6 that by reinjecting 50 percent of the water, we've reduced
7 the overall pumping impact on the aquifer. This shows --
8 summarizes the initial results for the 2023 simulations
9 and this is zero percent reinjection. So, it's the exact
10 same type of graph that I showed you for the 2021
11 simulations, but this time it's with the new well
12 locations, and those are shown on the -- on the right hand
13 side as the -- the -- the coloured dots. You can see once
14 again we've got -- the top graph is Pumping Rate, and then
15 the middle graph is Impacts to the Carbonate, and the
16 bottom graph is Impacts to the -- the Sandstone. The
17 magnitude and timing of injection is similar to 2021, it's
18 just shifted because the well locations have shifted. But
19 it hasn't changed the impact that the -- the wells are
20 having. And we have new information which is new well
21 locations, new observation well locations, so we can get a
22 better understanding of -- of how it is distributed
23 spatially. So new observation wells gives us more
24 information about how it -- it -- the -- the impacts are
25 spatially distributed. So, 50 percent -- when you look at

1 the difference between zero percent reinjection and 50
2 percent reinjection at the exact same observation wells,
3 you can note that the drawdown impacts are substantially
4 less. So, to summarize on -- on Page 29, we developed --
5 we developed a conceptual model which tells us all there
6 is -- all of the information that we need to conceptualise
7 the groundwater flow system. And that was -- we have
8 enough data to do that. There's -- there's lots of
9 historical studies and -- and -- and field scale testing
10 that's been done to properly characterize the groundwater
11 flow system. We took that and we created a numerical
12 model. We used industry standard software, we tweaked the
13 parameters and calibrated those parameters to give us a
14 really, really good fit between observed groundwater
15 elevations, and simulated groundwater elevations. We also
16 did -- we also simulated the pumping test, so we did
17 transient analysis as -- as -- as well. The drawdown
18 response for this new model and recovery -- so, drawdown
19 and recovery are consistent with a highly conductive
20 aquifer. So drawdown occurs, but when you turn the wells
21 off, it very quickly dissipates. We usually get 80
22 percent recovery within two days of shutting the wells
23 down. So the -- the -- the -- the quantity impacts or the
24 draw -- drawdown impacts are very, very transient. They
25 occur quickly and they go away quickly. The location of

1 drawdown impacts is slightly different in the 2023
2 simulations because we've changed the location and turning
3 on and turning off of the -- the operational wells.
4 That's the only difference. The magnitude and spatial
5 extent of drawdown impacts are comparable to the 2021
6 study. So, the conclusions and recommendations that we
7 provided in that -- in the Hydrogeology and Geochemistry
8 Assessment Report are still valid. And with that, we'll
9 take a break. And when we ---

10

11 THE CHAIRMAN: Chair. So, I agree
12 that is a natural spot to break. So the -- we'll pick up
13 the geochemical analysis in five to ten.

14

15 (OFF THE RECORD: 3:15 P.M.)

16 (OFF THE RECORD: 3:25 P.M.)

17

18 THE CHAIRMAN: Okay. Get back to our
19 seats. Miln, are you continuing or who does the
20 geochemistry assessment? We're going to ---

21

22 MR. MILLS: Okay. Ryan Mills.

23

24 THE CHAIRMAN: Right. So, over to
25 you then, please.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. MILLS: Ryan Mills with AECOM. With that, I'll -- we'll move into the presentation of the geochemistry portion of our hydrogeology and geochemistry assessment and pass it to Dr. Elemine.

MR. ELEMINE: Thank you, Mr. Mills. The geochemical assessment of the project focuses on two aspects. One aspect is the characterization of the waste, the waste rock, and the sand. The other aspect deals with the groundwater quality. I will speak about the assessment of the rocks and the sand, and pass it back to my colleague to speak about the water quality.

In this slide, you -- you see the solid phase, and that means the geochemical properties of the solids. And the solids consist of three things, the waste material that will be extracted, which is not useful, and the sand, which is the ore in this case. And the objective is to assess the risk. When these materials are extracted from -- from the subsurface and brought to the surface, they may react with oxygen and water at the surface and release acid and metal leaching. And that's the major problem at mine sites. The objective here is to assess that risk and develop mitigation and control

1 measures to prevent it from happening.

2

3

4 I will step back a little bit and provide a
5 background. These materials that exist in the subsurface,
6 namely the -- the carbonate and the shale, exists in an
7 environment where there is no oxygen and they are
8 saturated with water. This condition precludes the
9 formation of acid and metal release, simply because oxygen
10 is a required element to drive the reaction, and I'll come
11 that -- come to that later. The second bullet I would
12 like to stress is, any metal that could be present in this
13 material in the subsurface should already be present in
14 groundwater in their current conditions. Before I go
15 further in the -- in the presentation, I realize that this
16 topic might not be familiar to many people. So, I put in
17 this slide just to provide some kind of a background and
18 to help in the discussion that will come.

18

19 We often refer to acid rock drainage, and
20 metal leaching as a ARDML. Sometimes, you will hear
21 MLARD. And for that to happen, you need three things.
22 You need the sulfide, you need oxygen, and you need water.
23 And I will use the triangle fire as an analogy. For a
24 fire to happen, you -- you need three things. You need
25 your fuel, which is equivalent with the sulfide here, you

1 need oxygen, you have this oxygen, and you need heat. And
2 the heat -- catalyst, in this case, is water. So, these
3 basic three ingredients are required to generate acid rock
4 drainage. However, the process is a bit more complex than
5 that actually is. There are other parameters that affect
6 this process and the extent to which it is to happen. One
7 of them is the reactivity of the sulfide. You can think
8 of that as your fuel, is it dry? Is it wet in case of the
9 -- the fire triangle? The other very important aspect is
10 the microorganism. This process is very, very slow. The
11 rate is very slow without microorganisms being involved.
12 And if I may use the triangular fire again, I will talk --
13 if you think of it as the wind will affect that fire. In
14 this case, if you don't have microorganisms, the rate will
15 be very, very slow.

16
17 So, the reaction that on the left side
18 shows you the oxidation of pyrite. And pyrite is commonly
19 referred to as fool's gold, and it's the one that's the
20 main driver of acid rock drainage. It reacts with oxygen
21 and water. It releases iron. It releases hydrogen ion
22 and that's your acidity. It also releases sulfate and the
23 metal that are usually present in the sulfide. The iron
24 released can subsequently be oxidized, and it further
25 releases more acidity. But it also precipitates what we

1 call iron oxyhydroxide. This -- they are not really
2 minerals, they are amorphous phases. They play a very key
3 role in metal solubility and mobility because they have
4 the ability to capture and precipitate metals from those
5 solutions. So, they basically actually need this process.

6
7 On the right side, you have the process of
8 acid neutralization. Thankfully, in nature, there are
9 minerals that act to keep the pH in the neutral condition,
10 and one of them I'm showing here is the calcite. It
11 reacts with that hydrogen ion, it releases alkalinity, and
12 that's the alkalinity that maintains the pH from becoming
13 acidic. They also release calcium, which may react with
14 the sulphate released during the oxidation, and it
15 precipitates gypsum. And we commonly see gypsum as an
16 indication of acid generation and neutralization process
17 where acid rock drainage happened.

18
19 The program we designed to assess the
20 geochemical characteristics follows industry standard, and
21 are -- we are listing two of them here that are MEND 2009,
22 which is -- which was developed in Canada by the Mine
23 Environment Neutral Drainage. It become a blueprint
24 around the world. It's been used as a benchmark for a lot
25 of assessment programs. And we use the INAP guideline,

1 which is the International Network for Acid Prevention.
2 Based on these guidelines, we selected nine samples, three
3 from each of the rock types. That's the carbonate, the
4 shale, and the sandstone. But when the samples arrive at
5 the lab, the lab created replicated samples just to make
6 sure that they capture the spatial variability that may
7 exist in the sample. The table in the -- in the middle of
8 the slide shows the recommended guideline for the number
9 of samples that someone should start with for an
10 assessment, and it indicates the number of samples based
11 on the tonnage that -- on the tonnage of the waste rock
12 that is expected from the project. This project estimates
13 that will release less than 4,000 tonnes of carbonate and
14 shale during the five years. And that really is half --
15 nearly less than half of the lowest level. So,
16 theoretically, you would need about three samples. So, we
17 took nine just to make sure that we are capturing the
18 spatial heterogeneity that might exist within these
19 formations. Those samples were taken from four boreholes
20 that are listed here. The samples were visually examined
21 in the field and in the lab by -- by our team, and they
22 documented them. They were stored in sampling bags, and
23 they were shipped to an accredited laboratory for testing.
24 This laboratory conducted a very rigorous QA/QC program to
25 make sure that the -- the analysis is correctly done and

1 the data is suitable for use for analysis.

2

3 This the -- this photo shows a core from
4 Bru 95-8, and it shows the carbonate unit and the
5 transition zone between the carbonate and the shale all
6 the way through the shale unit. The photo on the left
7 shows a chip tray, which is a fragment of the different
8 rocks across a borehole, all the way from the -- the
9 quaternary sediment through the carbonate unit, the shale
10 into the sandstone. On the right side, this is a
11 procedure we use to assess whether material is --
12 weathered or not, it's to see if we can peel the rock.
13 And as you can see here, it's very easy to push a knife
14 into the shale, and this means that the shale is highly
15 weathered, and all the boreholes we had, they document
16 that it's highly weathered in situ.

17

18 These two photos shows the core and the
19 sand, packed in sampling bags, these are standard sampling
20 bags, and zip logs to be shipped in pails to the
21 laboratory for testing. Our analytical program included
22 four different type of tests, the acid base accounting,
23 which is used to determine the acid potential. We used an
24 X-ray diffraction to determine the -- the -- the
25 composition of these rocks and specifically to identify

1 whether there are minerals, potentially acid generating,
2 and the minerals that are likely to neutralize the
3 acidity. We conducted a metal analysis to estimate the
4 metal contained in the rock. Then we did a shake flask
5 extraction, which is a leach test designed to identify the
6 level of acidity and metal concentration that may be
7 released from this material under oxidizing condition, and
8 very quite vigorous, and I will come back to that later
9 laboratory condition.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

The table -- this table shows a summary of
the first test, the acid base accounting. On the far left
side, you have the three main units, and you have an
average of the main parameters that we use to assess this
-- the data. And on the right side, there is a column
called Material classification. After doing this test, we
usually did -- classify the rocks into three classes,
whether it has very low potential for acid generation, and
we call that non-PAG, or it has a high potential for acid
generation, and we call it PAG, and there is a grey zone
in between, which indicates a level of uncertainty. And
if you -- so, in this case, the Red River carbonate and
the sandstone were classified as non-PAG because they're
very hard. They have very low potential for acid
generation, and that's because there is very low sulfur.

1 In addition to that, the carbonate unit's very -- has a
2 very high reservoir of alkalinity. It's capable of
3 offsetting a lot of sulfur. In the case of the Winnipeg
4 shale, it's a bit more complex. We have a mixture of
5 different classifications. One of the samples had low
6 potential for acid generation, and two were in an
7 uncertain zone. And in this kind of situation, we adopt a
8 very conservative approach, and we decided we're going to
9 classify all the shale as high risk and manage it
10 appropriately to protect the environment.

11

12 In this next slide, I will discuss the
13 result of the last test. I won't talk about the second
14 and the third, but I would be happy to discuss any of
15 their results. Based on this test, we noticed there was
16 no acidity at all in this sample because the pH remained
17 neutral. Then second -- there was a very limited metal
18 leaching, and the most noticeable ones are shown on this
19 table. For the Winnipeg shale, we noticed there is a
20 selenium potential release at levels that may exceed
21 groundwater quality guidelines. There was some arsenic.
22 For the Red River, there was only a marginal exceedance of
23 the selenium, and for the sandstone, it was mainly iron,
24 and it was also marginal. When we compare this data to
25 the water quality guidelines for the protection of aquatic

1 life to generally speak about the impact on surface water,
2 we also noticed that aluminum, selenium, and some iron are
3 the main elements that we should be worrying about. Based
4 on these results, we recommended the development of a
5 waste characterization and management plan, and the
6 objective of that is to collect additional samples in
7 order to reduce the uncertainty in our assessment,
8 specifically for -- with respect to the shale. And in
9 that plan, we outline measures for managing the -- these
10 materials in order to protect the environment. I will
11 discuss this plan in more detail later on. For now, I
12 will pass it to Mr. Mills to discuss the groundwater
13 quality aspect.

14

15 MR. MILLS: Ryan Mills. And with that, as
16 -- as my colleague indicated, we'll move on to a
17 discussion of the water quality component of the
18 geochemistry assessment. And this involved direct
19 measurements of water quality in the aquifer, built both
20 before, during, and after the assessment involved. It
21 also benefited from extensive literature that had been
22 published by the Geological Survey of Canada, many of
23 Manitoba's legacy of hydrogeologists, as well as the
24 results of our -- our field investigation. And again, the
25 -- the objectives here were to determine the baseline

1 water quality in -- in the aquifers that -- that are
2 likely to be affected within the project area, and -- and
3 relied upon for -- for drinking water. We assessed the
4 effect of operations on water quality by sampling before
5 and -- and after a pumping test. And -- and we wanted to
6 understand the role of the Winnipeg shale in the
7 hydrogeological system. It's not a unit that is typically
8 targeted during water supply well drilling, and -- and
9 hence, we recognize that that may be a bit of a -- a focus
10 of our investigation and -- and would be beneficial to
11 inform our modelling and conceptual model.

12

13 The program overall involved collection of
14 20 water quality samples and duplicates from several
15 monitoring wells, including three private wells. It
16 involved the collection of 13 water samples for isotopic
17 analysis at the University of Saskatchewan. It involved
18 collection of field parameters in the field, and those
19 were used as part of a quality assurance check to validate
20 laboratory data. The water quality samples were then
21 field filtered following best practice and analyzed by ALS
22 Environmental Laboratories, a -- an accredited external
23 laboratory that does these analyses routinely. And the
24 isotopes samples, again, were analyzed at University of
25 Saskatchewan to help understand that -- the history of the

1 water in -- in that shale unit. And then there was a -- a
2 quality assurance and quality control program that
3 consisted, again, of -- of duplicates and -- and matrix
4 spikes and -- and method blanks. The analysis, you know,
5 involved, again, characterization of parameters in situ to
6 describe the water quality in the field, as well as many
7 parameters that broadly describe water quality, and in
8 addition to several parameters that supplement the
9 understanding of existing conditions and -- and the
10 potential for any impacts related to -- to drilling.

11

12 When we look at the results with a focus on
13 the origin, determining the origin and chemistry of the
14 water, we determined that with the exception of the shale,
15 the groundwater has a meteoric origin. It has a neutral
16 pH and suboxic redox conditions. And what this means is
17 that there's very little oxygen in the aquifer as it is
18 now, very little to no oxygen. The groundwater is fresh.
19 So that means that it has a very low total dissolved
20 solids concentration in both the carbonate and the -- the
21 underlying sandstone aquifer. And -- and that's in stark
22 contrast with the groundwater in the sandstone aquifer
23 much further west on the other side, especially of the --
24 of the -- the Red River, and -- and to some, you know,
25 distance east of that. But well outside of the project

1 area, and then very low concentrations of other parameters
2 that would, you know, reflect the -- the end result of
3 weathering and -- and other sources of water. We found
4 that the groundwater met drinking water quality guidelines
5 except for turbidity, which is likely due to that short-
6 term post installation, you know, impact on -- on just
7 suspended sediment that would settle out over time. And
8 then we found that iron and manganese exceeded aesthetic
9 objectives that are really designed -- those -- those
10 values are set because they're above those values. You
11 sometimes see, you know, red or orange staining around
12 sinks and black staining on plumbing fixtures from -- from
13 iron and manganese, which is common and is probably
14 experienced by several people in the -- in this area now.
15 Many of the parameters, however, were well below the
16 detection limit in -- in samples, including selenium,
17 which was notably in contrast to the shake flask
18 extraction, which is on a small scale laboratory test
19 under vigorously oxidizing conditions. We found that the
20 selenium just was not present at levels above detection
21 limits in the laboratory, in 16 out of the 20 samples.
22 And again, here is a similar table summarizing those
23 results. And you see that -- that selenium notably is --
24 is absent from this. There are a couple of other trace
25 metals that are commonly found in -- in subsurface

1 deposits and aquifers and -- and may also be associated
2 with some of that short-term disturbance.

3

4 So then we wanted to overlay and
5 investigate the possible -- possibility of -- of the --
6 the project activities impacting water quality. And the
7 three methods that we -- we -- or assessments that we
8 undertook as part of that investigation were to, number
9 one, look at the impacts of -- of bringing groundwater
10 from the sandstone formation to the surface, exposing it
11 to an unlimited source of oxygen, which is a highly
12 conservative kind of starting point, and then allowing
13 that to be reinjected in the aquifer, right, where it
14 would once again be isolated from oxygen, but we've
15 assumed that that oxygenated condition persists in an
16 abundance of caution. And what did we find? We found
17 that the pH may slightly increase, and groundwater
18 conditions would become oxidizing if that water was left
19 at surface. We found that in response to those changing
20 redox conditions, that the ammonia, iron, aluminum, and
21 manganese concentrations would -- would decrease. Okay.
22 We found that -- that -- that was as a result of oxidation
23 and formation of amorphous oxyhydroxides. I know it's
24 complex, but essentially it's -- it's iron and oxygen
25 combining to form these oxyhydroxides in -- in -- in --

1 and that would take the form of one of many minerals,
2 including ferrihydrite, diaspore, and magnetite -- or
3 magnus -- yeah, magnetite -- or manganite, sorry. The
4 amorphous phases are also known, as -- as Dr. Elemine
5 mentioned, that they are known to attenuate metals through
6 coprecipitation. So, that means that the iron and the
7 other elements can coprecipitate and fall out of the water
8 and once again return to their solid form. Okay? So,
9 we're seeing evidence of that through the modelling and
10 especially in the case of selenium. And so this may
11 explain why we see differences between the laboratory data
12 and the real measured data in the aquifer.

13

14 However, it's important to note that in
15 spite of the very conservative approach that we took here,
16 this would -- this condition would require an unlimited
17 supply of oxygen to promote these reactions. These --
18 oxygen is a required ingredient in this recipe, which will
19 not occur in the subsurface. Therefore, the oxidation of
20 sulfide minerals in saturated environments is not a
21 plausible scenario.

22

23 The second assessment component of our
24 assessment was to look at the impact of aquifer mixing on
25 water quality. So we're recognizing, based on the results

1 of the geotechnical assessment, that the shale is very
2 weak, and it may collapse and allow for connection between
3 those aquifers. Okay? And so we wanted to investigate
4 the impacts of -- of -- of that possible connection. And
5 -- and so, we recognized that the vertical gradients
6 between those two systems, so the differences in water
7 levels and the possibility of flow exchange between the
8 two aquifers, it may bring some water from the sandstone
9 aquifer up into the overlying carbonate, and it may also
10 take some water from -- if you have downward gradients,
11 from the overlying carbonate into the sandstone. So we
12 looked at those two possibilities. And so, we simulated
13 mixtures of those two waters, and we found that the
14 results were fresh, and they met Canadian drinking water
15 quality guidelines, again, with the exception of iron and
16 manganese, which already exceed those guidelines for
17 aesthetic objectives in the existing baseline condition.
18 From an up -- when we looked at upward mixing, the
19 simulated water quality in the Red River carbonate showed
20 that iron concentrations would decrease below the Canadian
21 drinking water quality guidelines. When the Winnipeg
22 Sands -- proportion of the water was greater than 80
23 percent. So in other words, if locally, somehow, the --
24 the water quality comprised 80 percent water from the
25 sandstone and 20 percent water from the carbonate, we

1 would see, you know, concentrations of iron that were
2 below guidelines. And this is not surprising because the
3 water in this -- the -- the sandstone is naturally low in
4 iron concentrations. However, that water has some higher
5 concentrations of manganese, and so when those mixing
6 proportions were greater than 70 percent sandstone water,
7 we found that manganese started to exceed Canadian
8 drinking water quality guidelines. We found decreasing
9 concentrations of chloride, calcium, magnesium, arsenic,
10 iron, uranium, and many other parameters, with an
11 increasing proportion of the -- the Winnipeg sandstone
12 aquifer. And it's not surprising it follows a
13 conservative mixing relationship.

14
15 When we looked at the opposite scenario
16 involving downward flow from the overlying carbonate
17 aquifer into the Winnipeg sandstone, we found very similar
18 findings. So, the iron concentrations marginally exceeded
19 the drinking water quality guideline aesthetic objectives
20 when the Red River carbonate proportion was greater than
21 30 percent, and the manganese concentrations decreased
22 below guidelines when the proportion was greater than 30
23 percent. So, it's sort of the opposite scenario. And we
24 found decreasing concentrations of sodium, sulfate, and
25 zinc with increasing proportions of water from the Red

1 River carbonate because they are naturally low in those --
2 those components. We used all of the information from the
3 conceptual model, the numerical groundwater flow model,
4 the geochemical solid phase assessment, and the water
5 quality component of the geochemical assessment to conduct
6 what we call an impact assessment. So, looking at the
7 project holistically -- holistically. And we classified
8 what are -- what we have determined to be the residual
9 effects on groundwater quantity and quality. And this
10 table summarizes the residual effects after the
11 application of standard and defensible mitigation measures
12 that have been applied widely on other projects globally
13 and -- and -- and within Manitoba. And -- and this
14 describes the residual impacts, and we looked at those
15 residual impacts because this is a highly transient
16 phenomenon. As Dr. Harvey mentioned, we have water level
17 impacts during and shortly after operations until static
18 groundwater levels recover, much like turning a well on
19 and off. And -- and then in that post-recovery phase, we
20 also looked at the residual impacts, right? So, this kind
21 of captures the worst case and -- and sort of the long
22 term scenario. And we found that the magnitude of
23 drawdown could be up to six -- sorry, six metres in the
24 Red River carbonate and 25 metres in the Winnipeg
25 sandstone, assuming zero reinjection of groundwater. So

1 again, a very highly conservative case that does not
2 reflect the planned case, which is -- which involves
3 reinjection of -- of all but 15 percent of the available
4 water. And again, in an abundance of caution, we took
5 that approach. We found that the geographic extent, even
6 with those conservative assumptions, was local. It was
7 temporary. It was reversible because the water levels do
8 recover. And the frequency was periodic. It occurred,
9 you know, during project operations and shortly after
10 project operations, but recovered to static conditions
11 every -- every fall and winter after operation ceased.
12 And the probability of the occurrence of those impacts is
13 fairly certain. We understand this is essentially like
14 operating a water supply well, and we understand how water
15 supply wells operate fairly well. They operate in a
16 predictable manner. The aquifer system is well
17 investigated by ourselves and many others, and the
18 findings are in general agreement within the project
19 footprint. When we looked at the post-closure impact, so,
20 you know, what happens after the project is done, we found
21 that -- we -- we had a difficult time classifying impacts,
22 essentially because all of the impacts dissipate. They
23 recover. So, there's -- it's a neutral direction. We
24 can't classify the magnitude because there is none. We --
25 we --the geographic extent, there isn't one because the --

1 the -- the impacts are -- have -- have -- have recovered.
2 And the duration of that -- those impacts is -- is
3 permanent, yes. We recognize that. And -- and the
4 probability of -- of -- of that occurring is fairly
5 certain. We have conducted field testing that
6 demonstrates water levels recover after operations.

7
8 When we conduct the same or take the same
9 approach in the view of looking at groundwater quality,
10 you know, the direction was positive to negative. As I
11 described, some of the water quality parameters improved.
12 Others slightly worsened, depending on the assumptions
13 that you take in the direction of flow at the location of
14 each of these connections between the aquifers. The
15 addition of oxygen to the -- the mixture generally will
16 reduce iron and manganese concentrations. It -- and --
17 and there's essentially very little to no sulfides
18 available for oxidation. The shale is already weathered
19 in situ. And so essentially, the findings show that the -
20 - the -- the duration of those impacts will be temporary.
21 They are reversible, and -- and -- and you know, they --
22 they occur largely within the -- the project footprint
23 based on our -- our assumptions.

24

25 On the basis of that assessment, we

1 recommended -- in an abundance of caution, we recognize
2 that people rely on this drinking water source from both
3 aquifers and that it is important to -- to, you know, even
4 though we have full confidence in our work, it's important
5 to establish protocols that are able to validate that --
6 that -- that, and -- and benefit from new learnings along
7 the way. And so, we recommended establishment and -- and
8 -- and implementation of a groundwater monitoring and
9 mitigation plan, which has been provided in draft, a
10 progressive well abandonment plan that has been provided
11 in draft, and a waste characterization and management plan
12 that has been provided in draft, as well as a water
13 management plan, and we have not provided that yet in
14 draft. It typically relies on extensive input from --
15 from licensing conditions, and -- and you know, it -- it -
16 - it does -- just doesn't make sense to develop that just
17 yet. And with implementation of these plans, the
18 potential adverse effects on groundwater and quantity --
19 quantity and quality are anticipated to be mitigated. And
20 -- and -- and -- and there's precedent for -- for this.
21 In -- in -- there's a -- a concept of adaptive management
22 in -- in the engineering and geoscience field, where there
23 is always some residual uncertainty. You could have the
24 most qualified people, lots of local experience, there is
25 always the possibility of some subtle heterogeneities that

1 may not have been captured by previous work. But it
2 establishes a framework by which you track that
3 information based on monitoring data. And then you have a
4 framework for responding to the -- the -- those conditions
5 and the monitoring data, and -- and adapting as you go,
6 and that feeds back into project design, et cetera. And
7 we'll get to that in a little bit more detail.

8
9 So, this is a -- this slide shows, you
10 know, a cover page for the -- the guidance on adaptive
11 management plans in British Columbia, and it's one that
12 we've applied many times and -- and -- and many others
13 have applied. And -- and really, this -- the purpose of
14 adaptive management is to allow for decisions to be made
15 in the -- in the face of uncertainty, and provides a means
16 to systematically reduce those uncertainties and improve
17 management practices over time by learning from the
18 outcomes of operational activities. And this -- this
19 comes from the -- the -- the Ministry of Environment. And
20 this flow chart here just shows the process by which that
21 feedback occurs. So, just pointing on the screen, we've -
22 - there's a design of a project. You begin to implement a
23 project. You monitor the impacts of that -- that project.
24 That provides information that is then evaluated by
25 qualified professionals. You determine whether or not you

1 need to make any adjustments, and you assess the efficacy
2 of those adjustments and whether -- determine whether or
3 not you need to refine your design. So, it's sort of like
4 a continuous learning approach.

5
6 So with that, we moved into -- I'll briefly
7 capture the groundwater monitoring impact mitigation plan.
8 It describes in some level of detail, and again, these are
9 draft documents that -- that we've already received some
10 subtle comments of agreement from independent peer
11 reviewers not on this panel, and -- and -- but -- and also
12 some suggestions that I think are fair and valid that --
13 that could be incorporated into the -- the finalized
14 versions of these plans, along with license conditions.
15 And so we would of course conduct a water supply well
16 survey to determine the exact locations of -- of
17 monitoring wells and -- and water supply wells in the
18 area. We would monitor the groundwater quantity and
19 quality, and it -- it establishes the location,
20 parameters, frequency, et cetera. It would surround the -
21 - the -- the zone of influence of the project. We would
22 assess field performance against the design goals and
23 objectives to direct that continuous improvement. And --
24 and groundwater evaluation tools, including the -- the
25 geochemical models and the numerical groundwater model,

1 would be improved based on the results over time. We
2 would establish protocols for receiving and responding to
3 any queries or complaints. We have put forward a draft
4 trigger action response plan that identifies mitigation
5 measures and guides their implementation to, first off,
6 avoid impacts that are unacceptable, and then also, if
7 there are unacceptable impacts, respond to them quickly.
8 And then we're going to assess the effectiveness of those
9 mitigation measures and establish a framework for
10 reporting the findings to the community and regulatory
11 agencies over time.

12

13

14 This is what the trigger or the groundwater
15 level monitoring frequency would look like. On the left,
16 you have the different monitoring zones that essentially
17 establish some background monitoring wells and -- and
18 regional, local, and operational footprint oriented
19 monitoring wells, with generally increased frequency of
20 monitoring close to the operational footprint within the
21 zone of greatest impact and diminished monitoring
22 regionally. And through all phases, each column
23 represents a different phase of the project, and this
24 would continue well beyond the end of -- of project
25 operations.

25

1 This table presents the same sort of
2 philosophy applied to groundwater quality sampling. And
3 then that data that those monitoring programs produce
4 would be reviewed on an ongoing monthly and annually --
5 annual basis. We compare water levels to thresholds. We
6 would compare water quality to applicable criteria.
7 Compare the data to the thresholds established in the
8 trigger action response plan and respond accordingly based
9 on those results. And even in addition to that, we would
10 respond to any well owner queries or complaints that --
11 that -- that happened or happened to -- to come about. A
12 comprehensive annual report would be produced that
13 documents the operational activities, the water level and
14 water quality results. The summary of the status of those
15 trigger action response plan events, so, where are we in
16 the spectrum of responses? Are we getting close to a
17 trigger? Are we well below a trigger? And then summarize
18 those well owner complaints and responses and action that
19 was taken.

20

21 We've also developed a -- a draft
22 progressive well abandonment plan that is intended to meet
23 the regulatory requirements around borehole and -- and
24 well abandonment in -- in -- in Manitoba. Recognizing
25 that, you know, this -- this requires a bit more thinking.

1 There is some -- some regulatory differences depending on
2 which regulation you look at, but I'll leave that to
3 others to interpret. And really, we just want to make
4 sure that because we know wells are -- are -- can be a
5 conduit for interactions between surface and the aquifer,
6 that they are abandoned promptly after operations and that
7 their status is -- is tracked and -- and checked. With
8 that, I'll pass it to my colleague, Dr. Elemine, to
9 discuss briefly the waste characterization and management
10 plan.

11

12 MR. ELEMINE: Thank you, Mr. Mills. So, a
13 waste characterization and management plan has the
14 following objective. It should provide a high level
15 summary of the geochemistry, just in case the reviewer --
16 the reader doesn't have the complete data set or the
17 assessment report, so you could rely on that information
18 that is provided early on to make an assessment of the
19 material that will be excavated or extracted by the
20 project. It describes procedures for collecting
21 additional samples to improve the understanding of the
22 geochemical properties and reduce the uncertainty in the
23 assessment. It also outlines mitigation measures, and
24 this is the most important part. It's to be able to
25 manage that risk with less or no environmental impact.

1 And it also outlines measures for monitoring. It is very
2 important, if you implement some mitigation measures, to
3 make it -- to develop a monitoring program to make sure
4 that the -- they meet the performance that was designed
5 for.

6
7 This slide shows you the sampling frequency
8 we propose to be conducted during -- prior to operations
9 and during early phase of operation. And this is a very,
10 very high sampling frequency. If I go back to that table
11 I showed earlier on, it essentially said you need one
12 sample for 1000 tons of material, and here, we are
13 collecting one sample, per about 700 for example, for the
14 carbonate, and 200 tons for this shale. This is a very
15 high accuracy, and we think it will provide valuable
16 additional information ahead of operation. And during
17 operation, we can scale down the sampling process because
18 by then we would have acquired a lot of information to
19 inform us on the behaviour of these formations in the
20 subsurface. It also involves a waste management strategy.
21 Now, unlike traditional mine sites, as you all know, there
22 are thousands of tonnes, millions of tonnes of waste rock
23 and tailings that get left at the surface for generations
24 to come. This -- this project will collect all those
25 materials that will be extracted, store it in tanks, and

1 take it away for -- to designated licensed facilities for
2 disposal. This means that the usual environmental risks
3 associated with mining are completely eliminated. To our
4 understanding, those who are -- have been drilling wells
5 in this region, they generally use -- they -- they -- they
6 leave their -- their residue at the site. But in this
7 case, the project elects not to build any stockpile
8 outside at the site, but to take away everything for
9 disposal. This also means that the intensive network of
10 monitoring that's generally associated with waste piles
11 and tailings facilities will be eliminated. However, we
12 stress the importance of keeping our groundwater
13 monitoring in place, as my colleague just discussed. We
14 also outline a procedure for documenting all that work,
15 the sampling process, the characterization, and the
16 management, into a deliverable, which includes the
17 geochemical data and any other improvement required, and
18 document that in a report and make it available when it's
19 required.

20

21 MR. MILLS: Ryan Mills. I'll just wrap up
22 quickly with one slide on the water management plan, and -
23 - and really, this is a -- a plan that has yet to be
24 developed. It is -- these are fairly routine in projects
25 involving the conveyance of -- of or management of -- of

1 water. We've recommended that that be expanded in this
2 case because there will be slurry transport that attracts
3 the volume of solids as well as the volume of water, so
4 perhaps the title may change, but this is just to track
5 the mass of material as it moves through the system, both
6 water and solids. And -- and -- and really, that is to
7 just -- it would be a requirement of any Water Rights Act
8 license, you know, to track the volume of -- of
9 groundwater that is extracted. So this is -- this is
10 something that's expected and routinely done. So, it
11 would describe the configuration of the project elements,
12 how water is moving through the system in addition to
13 solids. It would establish a framework for monitoring of
14 those -- those elements moving through the -- the -- the
15 process system. It would establish the parameter
16 frequency and locations where this -- the monitoring of
17 flows and -- and perhaps quality within that system would
18 occur, and identify best management practices to ensure
19 that groundwater and surface water are preserved. There
20 would be a framework, again, for reporting of the findings
21 to the community and regulatory agencies on a regular
22 basis. And this would of course be prepared after a
23 license is issued and submitted in advance of operations.

24

25

And so in -- in summary, on the balance of

1 -- of all of the field investigation, literature review,
2 involvement of -- of peer reviewers to make sure that the
3 numerical analysis of -- of both the groundwater flow
4 system and the groundwater quality and geochemistry
5 components of things, and the application of these
6 mitigation plans which are typically reserved for much
7 later in these processes -- we have a high degree of
8 confidence in the -- the findings that we've presented
9 here and that the results are conservative and can be
10 relied upon. Thank you, Chair.

11

12 THE CHAIRMAN: Chair, thank you very
13 much. We've covered a lot of ground here. All right,
14 let's try a little exercise in time management. So, we
15 would now move to questions, and we've got a little less
16 than a day to do it. Dennis, how much time do you think
17 you're going to need? Is the Rural Municipality of
18 Springfield still here? Will you be questioning and if
19 so, how much time will you require? No questions. Okay.
20 Our Line in the Sand? There'll be no questions, okay.
21 MSSAC? Manitoba Eco-Net? Okay, so, two -- four -- we're
22 looking at about six hours before we even pull in the
23 public or the panel. Dennis, would you like to start? We
24 got 20 minutes left. I'd suggest we not waste a minute.
25 Chair, so, let's go to 4:30 and see how we're doing. I

1 don't really want to go much later than that, but I also
2 don't want to waste 20 minutes.

3
4 MR. LENEVEU: It's Dennis LeNeveu. Could
5 you put up slide 11? I think I'll just start with the
6 hydrogeological modelling that are -- questioning that was
7 done this morning because I -- I have only two slides, but
8 it may develop into a -- a -- more extent could be
9 developed into an extensive discussion. Now, the one
10 thing I want to stress -- this is a modelling study that I
11 did using a -- a solution for the head. Evolving head in
12 the sandstone, using an analytical solution from Carl's
13 law and Yeager. Now this is not dissimilar from the theist
14 solution. That was already taken, but developed in Carl's
15 (ph) Law and Yeager (ph). Now, this is not dissimilar
16 from the Theis solution that was already taken --
17 developed in Carl's Law and Yeager. This is a heat
18 conduction code, but the governing differential equation
19 for the head is the same. And this particular solution
20 allows you to put a point source withdrawal representing a
21 well or a point source emitter representing an injection,
22 and the situation is, for Sio Silica, you have both going
23 on. You have withdrawal at the bottom of the well and
24 injection near the top of the sandstone layer of -- by
25 gravity feed, apparently, of returned water. Now, I would

1 like to make an observation that in the hydrogeological
2 modelling undertaken and talked about this morning, there
3 was no actual reinjection of water. It was just a -- a
4 reduction in the withdrawal rate. Now, in this model,
5 there was actually two injections points, one at the
6 bottom near or -- or about ten metres or -- no, about 20
7 metres down and near the top, representing the withdrawal
8 at the bottom of the production pipe. And injection --
9 actual water injection rate -- the input parameters were
10 water injection rate, not pumping pressure. Just rate at
11 15 percent less than the withdrawal rate, because
12 apparently 15 percent is lost to the sandpiles. And you
13 get an interesting phenomenon. There's three wells there.
14 You get a positive head. This is head change. You get a
15 positive head at the top where the water comes in, and and
16 negative at the bottom. So, you get circulation of water
17 coming down the pipe and coming back up and out into the
18 aquifer. Now, there -- because there's a positive head at
19 the top, this is near the carbonate, and you could get
20 transfer of water into the carbonate when the shale is
21 gone. Now, this is completely missing from the
22 hydrogeological model it described this morning. With the
23 opposite occurs, you only get head reduction. Now, my
24 question is, In the hydrogeological model this morning, I
25 assume you discretize finally where the water withdrawal

1 was and put in water withdrawal well boundary conditions.
2 Could you not have done another discretization at the top,
3 where water is reinjected, and put in a water reinjection
4 rate to represent actual water reinjection rather than
5 just reducing your withdrawal, which is not the same as
6 injection. I want to make this point. Injection and
7 reducing the water withdrawal are not the same. So my
8 question is, Could you not discretize your finite element
9 model, finally, and put in a water injection point near
10 the top of the aquifer corresponding to the withdrawal
11 weight at the bottom of the production pipe for a well?

12

13 MR. HARVEY: Miln Harvey. So, first of
14 all, you used an analytical solution. An analytical -- an
15 analytical solution is a simplified mathematical
16 representation of the groundwater flow environment that
17 involves a number of simplifying assumptions, including no
18 recharge, uniform properties, and essentially no boundary
19 conditions left and right, which means that the numerical
20 model that we developed is a much, much better tool to
21 represent groundwater flow. Net withdrawal -- no, no,
22 wait, we get a few points to unpack here. Net withdrawal
23 is extraction minus injection on a mass balance. What you
24 take out and what you put back at the -- in -- across the
25 same aquifer is essentially -- you are -- you're doing the

1 net injection, so it's extraction minus injection is -- is
2 -- is net -- net injection. So, they are the same thing.
3 With regards to discretization, we discretized the model
4 to include one layer to represent the sandstone because it
5 -- to -- to -- to represent each of the hydrostratigraphic
6 units because it is a regional scale model, and the type
7 of discretization that you're looking for, that you
8 propose, is unrealistic in this type of analysis. And
9 just to confirm, the numerical model that we used did an
10 extremely good job of representing the impacts associated
11 with pumping.

12

13 MR. LENEVEU: Thank you for your answer. I
14 agree with you. On a regional scale, an analytical
15 solution wouldn't be appropriate. But on a local scale,
16 for a single well, such as the Theis solution, it is very
17 appropriate, and in fact, it's not impeded by boundary
18 conditions. And what I'm trying to focus on here is the
19 local scale around a single well, where you can discretize
20 finally to discriminate between an injection and
21 withdrawal point, and you've described how that was not
22 done in your model because you're dealing with a regional
23 scale. But -- for you can see from this modeling on the
24 local scale, the actual position of the withdrawal point
25 and the injection point are very important, and it's not

1 the same situation as a net withdrawal. It is water
2 coming in at the top to create a higher pressure zone and
3 water withdrawal at the bottom. And you get a circulation
4 of this nature, and a situation can -- water can escape
5 into the carbonate. Now, you have to be -- realize that
6 the cavity is bounded over a small region, and you can't
7 get any transfer because of the aquitard on a regional
8 scale. But on the local scale where the aquitard has
9 collapsed, you -- this demonstrates -- this modelling
10 would demonstrate that that's what happened. You would
11 get transfer of water into the carbonate. So, rather than
12 people having a drawdown in their well, they would have
13 water transferred, and this is aerated water that can
14 cause geochemical effects. This is completely aerated
15 water from the surface is what you have to worry about,
16 and -- and once again, okay, you don't want to discretize
17 on a regional scale. Then I would suggest that in order
18 to -- or ask you, in order to get the proper effect in
19 discriminating between actual injection and withdrawal,
20 which you haven't done, do this on a local scale where you
21 can discretize to see what the effect would be, and -- and
22 pick up this effect that is not modelled in the regional
23 effect and of the possible transfer through the damaged
24 shale there. Now, one other thing. This is going to be
25 repeated many, many times for your clusters, so it may not

1 in -- in fairness to the witnesses, it would be much
2 easier and I think more efficient for everyone to have
3 individual questions, allow the witnesses to answer those
4 questions, and then we can move on to the next.

5
6 THE CHAIRMAN: Chair. Thank you for
7 that, Sander. You probably noticed my finger was starting
8 to get a little twitchy. I was giving Dennis a little
9 latitude, but I think he went over the line. I think the
10 preambles need to be short, and I take the point that this
11 -- the purpose right here and now is not to put forward
12 your own position or ideas, but to ask questions.

13
14 MR. LENEVEU: Okay, I'll just ask a simple
15 question. Can you not do a local -- a scale model with
16 this type of discretization of both an injection and
17 withdrawal?

18
19 MR. HARVEY: We have. We assigned well
20 boundary conditions across the Winnipeg sandstone. We
21 adjusted the hydraulic properties or hydrogeological
22 properties of the Winnipeg shale, and we've shown the
23 transfer of drawdown from the Winnipeg sandstone into the
24 Red River carbonate by assigning a net injection -- or
25 sorry, a net withdrawal rate. And from a mass balance

1 perspective, what you take out minus what you inject is
2 net extraction.

3
4 MR. LENEVEU: Yes, I appreciate that's true
5 on a regional scale, but my -- let me ask the question
6 again. Can you not define a local scale, much smaller
7 model, and do this type of modelling with two different
8 points just to examine what the potential difference is,
9 especially across a small area of field aquitard? Is this
10 not possible? I don't want to hear what you did about it,
11 I just asking the question, Is this not possible for your
12 finite element model?

13
14 MR. HARVEY: So, I have two comments. One,
15 we refined the finite element model around each of the
16 extraction and observation wells to properly assess
17 localized conditions. So, we did do that, and I -- I have
18 that in the presentation. When we -- we updated the
19 operational plan, we refined the -- the -- the mesh to
20 properly assess drawdown impacts associated with the
21 extraction plan. To -- more to your point, we could
22 refine the model, but it's of no value to assessing the
23 impacts because we've done that on the regional scale
24 model on the scale of those impacts. So, we -- we've
25 shown that those impacts have a zone of influence which --

1 that was -- the level of mesh refinement that was used to
2 make our predictions of drawdown impacts was appropriate
3 for the scale of the model and the scale of the impacts.
4 We did refine the mesh. We refined it around the -- each
5 of the observation wells in each of the pumping wells, and
6 we refined it down to a very, very fine level in order to
7 understand that both spatial and temporal impacts, and
8 that level of refinement was appropriate for the scale of
9 this project and the scale of the model.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

MR. LENEVEU: Thank you for your answer. I agree with you on a regional scale, it's appropriate. I'm asking you on a local scale, just in the area of the damage zone of the aquitard, where you could get transfer on the carbonate. I think you could, from what I've heard, do a local scale model. It's just that you've said you're not going to, based on an opinion that there is of no value. I don't think there's any point in pursuing it any further. But I -- I do disagree with your statement that there -- it is no value to do a localized model unless you actually do it.

MR. HARVEY: One last point. Industry standard guidelines on the development of models to assess the impacts of proposals like what we -- what is being put

1 forward by Sio -- we have done the level of
2 parameterization of the model and the level of refinement
3 of the mesh that is appropriate. So, we've done an -- an
4 appropriate level assessment based on industry standard.

5

6 THE CHAIRMAN: Could we -- Chair. I
7 -- I think we'll -- I think we'll call it a -- a day and
8 adjourn and reconvene in the morning, where you will again
9 have the floor, sir, and we'll pick it back up at 9:30.
10 Thank you.

11

12

AFFIDAVIT OF COURT TRANSCRIBER UNDER SECTION 31 OF THE
EVIDENCE ACT

We, Shania Chen & Beatriz Menendez, Court Transcribers,
HEREBY MAKE OATH AND SAY, that the foregoing typewritten
pages contain a true and correct transcription of the
recorded proceedings provided herein to the best of my
knowledge, skill and ability.

Shania Chen

Beatriz Menendez

Court Transcriber
February 28, 2023