

MANITOBA CLEAN ENVIRONMENT COMMISSION

LAKE WINNIPEG REGULATION REVIEW
UNDER THE WATER POWER ACT

* * * * *
Transcript of Proceedings
Held at Alex Wood Rec Centre
Manigotagan, Manitoba
MONDAY, FEBRUARY 9, 2015
* * * * *

APPEARANCES

CLEAN ENVIRONMENT COMMISSION

- Terry Sargeant - Chairman
- Edwin Yee - Commissioner
- Neil Harden - Commissioner

- Cathy Johnson - Commission Secretary
- Joyce Mueller - Administrative Assistant
- Bob Armstrong - Report writer
- Melissa Hotaine - Community Liaison

MANITOBA HYDRO

Dale Hutchison

INDEX OF PROCEEDINGS

Opening by the Chair	4
Manitoba Hydro presentation	5
Presentations:	
Joanne Hapel	15
William Monkman	23

1 WEDNESDAY, FEBRUARY 9, 2015

2 UPON COMMENCING AT 7:00 P.M.

3

4 THE CHAIRMAN: Good evening, welcome.

5 My name is Terry Sargeant, I'm the chair of the
6 Clean Environment Commission and the chair of the
7 panel. With me on the panel are Neil Harden and
8 Edwin Yee. We also have a number of staff people
9 with us, and some people from Manitoba Hydro.

10 We are here tonight because the
11 Minister of Conservation and Water Stewardship
12 asked us to conduct hearings in communities around
13 Lake Winnipeg and in Northern Manitoba, and in the
14 City of Winnipeg, to hear about any concerns
15 people might have with Manitoba Hydro's regulation
16 of Lake Winnipeg.

17 Now, there is more of us here than
18 there are people from this area. And I'm not sure
19 that any of you have any questions or comments you
20 wish to make, but I thought we would have the
21 introductory comments. Manitoba Hydro has a
22 presentation that, since you have come out wanting
23 to hear what this was about, we will have Manitoba
24 Hydro make their presentation about what Lake
25 Winnipeg Regulation involves. And then if any of

1 you have anything to say, we can just have a bit
2 of a conversation.

3 So I will ask Dale Hutchison from
4 Manitoba Hydro to make his presentation.

5 MR. HUTCHISON: Hi everyone. Thanks
6 Terry.

7 My name is Dale Hutchison. Thank you
8 for inviting me to Manigotagan to talk about our
9 Lake Winnipeg Regulation project. I have been
10 working with Manitoba Hydro for 15 years to
11 understand our impacts on the waterways and on the
12 people that we share them with. I will briefly go
13 through the Manitoba Hydro system, Lake Winnipeg,
14 and our Lake Winnipeg Regulation project.

15 I should mention I'm also joined by,
16 or Barry Neufeld is also here from our customer
17 service office.

18 So, a huge area from west to the Rocky
19 Mountains, east to the edge of Lake Superior, and
20 south into the Red River Valley of the United
21 States flows into Lake Winnipeg. The shape of the
22 land is like a million square kilometre bowl, and
23 this is what makes hydroelectric development
24 possible on a large scale in Manitoba.

25 There are 15 generating stations that

1 take advantage of the water that flows through
2 Manitoba. These are shown on the map by the blue
3 dots, and the size of the dots, small, medium and
4 large, shows how much each generating station can
5 produce. So on the Winnipeg River we have got six
6 small stations. Across the lake on the
7 Saskatchewan River, we have got a medium-sized
8 generating station at Grand Rapids. The Nelson
9 River flows into Hudson Bay. About 100 kilometres
10 north of Lake Winnipeg on the west branch of the
11 Nelson River, we have a small generating station
12 at Jenpeg. North of the Nelson is the Churchill
13 River. It also flows into Hudson Bay. However,
14 rather than building generating stations on this
15 far northern river, instead its waters were
16 diverted through a project called the Churchill
17 River diversion into the Nelson River. So this
18 project involved putting a control structure, or a
19 dam at the outflow of Southern Indian Lake,
20 raising the level of the lake nine feet, and
21 flowing most of the waters from the Churchill
22 River into the Nelson, where it joins the Nelson
23 River at Split Lake.

24 Wuskwatim is the newest generating
25 station and it is on this Churchill River

1 Diversion route. So the main hydroelectric
2 advantage of Churchill River Diversion is that
3 from Split Lake downstream to the Hudson Bay the
4 Nelson has the benefit of two rivers. And you can
5 see by the large blue dots that our largest
6 generating stations, Kettle, Long Spruce and
7 Limestone, are located on this stretch of river
8 downstream of Split lake. Keeyask, which will be
9 a medium-sized generating station, is currently
10 under construction.

11 To get the electricity from these
12 northern stations to the south, we have got two
13 high voltage bipole lines that run from Gillam,
14 1,000 kilometres, to a converter station near
15 Winnipeg. There is a third bipole line that's
16 currently being constructed. From the converter
17 station near Winnipeg, electricity is sent over
18 100,000 kilometres of distribution lines to homes
19 and businesses throughout Manitoba.

20 We also produce electricity using
21 natural gas at our stations in Selkirk and
22 Brandon. And in an emergency, we can use coal at
23 our station in Brandon. We don't own them, but we
24 purchase electricity from two wind farms at
25 St. Leon and St. Joseph as well. All together the

1 Manitoba Hydro system uses water to produce 95 per
2 cent of the electricity.

3 So now we will look at Lake Winnipeg.
4 So this is the tenth largest freshwater lake in
5 the world. It is Manitoba's great lake. There
6 are over dozen rivers that flow into the lake, but
7 there is only one natural outflow. This makes it
8 easy for the lake to flood. Most of the Nelson
9 River is wide but it is very shallow, and ice can
10 block the flow of water out of the lake during the
11 winter. Historically, this has caused problems
12 for people living around the lake, to the point
13 where highways have been closed, crops have been
14 lost, homes and cottages have been damaged. This
15 recurrent flooding had people put a lot of
16 pressure on government to do something about it.

17 At the same time, the demand for
18 electricity was growing in the Province. So in
19 1970, the Premier of Manitoba announced plans to
20 proceed with Lake Winnipeg Regulation for power
21 production on the Nelson River and flood control.

22 I'm changing up my presentation I'm
23 noticing in my head.

24 So these are -- to talk about this
25 recurrent flooding that was happening, these are

1 Winnipeg Free Press headlines and photographs of
2 some of the recent flooding events, years like
3 1927, 1950, 1954, 1955, 1966, 1968, 1969, 1970.
4 And so it was flooding like this that was the main
5 reason, or a key reason for developing Lake
6 Winnipeg Regulation.

7 So now we will talk about Lake
8 Winnipeg Regulation, which I will call LWR, so I
9 can save some breath. Before we could build LWR,
10 we needed a licence from the Province. This is
11 similar to getting a building permit before you
12 build a house. This is called an interim licence
13 and to get it we had to provide information to the
14 Province about what we were planning to build and
15 the effect it would have on water levels and
16 flows.

17 In 1970, the Province granted us an
18 interim licence which gave us the approval to
19 build LWR. They also gave us rules for how it
20 could be operated, and there were three types of
21 rules. The first were operating ranges for Lake
22 Winnipeg and some of the downstream lakes. So,
23 for instance, on Lake Winnipeg between elevation
24 711 and 715, Manitoba Hydro can decide how much
25 water to flow through Jenpeg in order to meet

1 electricity demands. Above elevation 715, we have
2 to let as much water as possible out of the lake.
3 This is called maximum discharge. And below
4 elevation 711, it is the Minister of Conservation
5 and Water Stewardship that tells us how much water
6 to let out of the lake. The second type of rule
7 is that we have to have a minimum flow of water
8 out of Lake Winnipeg. And the third rule is we
9 can't change the rate of water flow at Jenpeg too
10 fast.

11 We agreed with these rules and built
12 LWR by 1976.

13 In 2010, which is a few years ago, we
14 applied for our final licence. We did this after
15 many years of negotiations with communities, First
16 Nations, resource user groups on the Nelson River
17 in order to address impacts of LWR.

18 The final licence is good from 50
19 years from the date construction was completed.
20 So in the case of LWR, the licence will expire,
21 our final licence will expire in 11 years. And
22 before that time, we will again make a request to
23 have the licence renewed for up to another 50
24 years.

25 So LWR involved digging a second

1 outlet for Lake Winnipeg, along with two other
2 channels, to increase the flow of water out of the
3 lake. Of course, these three channels alone would
4 drain the lake, so it was necessary to build a
5 control structure or a dam at Jenpeg on the west
6 branch of the Nelson River.

7 Now, using the example of a faucet,
8 tub and drain, if all of the rivers flowing into
9 Lake Winnipeg are represented by the water drop
10 under the faucet, this drain represents the
11 natural outflow, the Nelson River, and the water
12 drop under it, how much water can flow out. You
13 can see that there is a difference in size, which
14 means that during floods you can have a lot more
15 water entering the lake than can leave it. This
16 causes the water level to rise and the lake to
17 flood.

18 You can see in this lower diagram that
19 there is a second outlet. This represents the LWR
20 channel, it is half the size of the natural
21 channel, but you can still see that these two
22 water drops together are still smaller than the
23 water drop under the faucet. So during floods the
24 lake level will still rise and flood, but it won't
25 rise quite as high and it won't be in flood for

1 quite as long.

2 And it is this difference between
3 inflows and outflows that is the reason why LWR
4 can influence the level of the lake, but it can't
5 outright control the water level of the lake.

6 So people have different ideas about
7 how LWR affects water levels on Lake Winnipeg.
8 Some people think we keep the level of the lake
9 higher all of the time, some people think we keep
10 it lower. The Federal Government has been
11 monitoring water levels on Lake Winnipeg for 100
12 years, and what this water level data shows is
13 that the lake is behaving now just as it always
14 did; during the spring and summer the water level
15 rises, and over the fall and the winter the water
16 level falls. If there is a drought in the
17 watershed, the lake level gets low. If there is a
18 flood, the lake level gets high. However, since
19 1976 when LWR was built, there is one noticeable
20 change.

21 And I will have to use a graph, I'm
22 afraid, to show what the influence is. What this
23 graph shows is that LWR has reduced flooding on
24 Lake Winnipeg, by comparing what the level of the
25 lake is with LWR to what it would have been if LWR

1 did not exist. So the one side of the graph has
2 the elevation above sea level. The bottom of the
3 graph has 40 years from 1977, the first full year
4 that LWR was in operation, up to 2015. The blue
5 line represents the with LWR water level, and the
6 red is an estimate of what the water level would
7 be without LWR.

8 You probably noticed that the last ten
9 years or so have been very wet, with a lot of
10 water flowing into the Lake Winnipeg and down
11 through the Nelson River. What this chart shows
12 is that in flood years like 1997, 2005, 2011 and
13 2014, the lake would have gotten two feet higher
14 and the flooding would have lasted much longer.
15 So this information is demonstrating that LWR is
16 meeting its goal of reducing flooding on Lake
17 Winnipeg.

18 Now -- these are very light, I'm not
19 that strong.

20 So what happens downstream of Lake
21 Winnipeg? 20,000 people live along the Nelson
22 River. Land and water are extremely important to
23 their identity and livelihood. All Manitobans
24 benefit by having reliable low cost electricity,
25 and people around Lake Winnipeg benefit by having

1 the flood relief provided by LWR. However, people
2 downstream have suffered by having more water flow
3 out of the lake during winter and during times of
4 flood. And this additional water has significant
5 impacts on people downstream of Lake Winnipeg.

6 Under natural conditions, lake levels
7 and river flows gradually decrease over the course
8 of the winter. With LWR, water flows during the
9 winter are higher, up to 50 per cent higher than
10 they would have been without this project. This
11 additional water causes ice impacts on the
12 waterways which can make travel dangerous. It
13 also negatively affects aquatic animals like
14 beaver, mink, muskrat and otter. During the
15 summer, any time the elevation of Lake Winnipeg
16 gets close to or above elevation 715, Jenpeg goes
17 to maximum discharge sending a surge of water down
18 the Nelson River, which causes water level
19 fluctuations. So, ultimately, changes in water
20 flows from Lake Winnipeg Regulation have affected
21 the cultural, commercial, spiritual and
22 recreational pursuits of people living downstream
23 of Lake Winnipeg.

24 Working together, in Cree this is
25 called witasosketowin, with the people who live

1 and work on the Nelson River, Manitoba Hydro has
2 been working to address these impacts of Lake
3 Winnipeg Regulation, through agreements and other
4 arrangements with all First Nations and
5 communities on the Nelson River, through projects
6 like the Cross Lake Weir, through programs for
7 access and navigation, resource harvesting,
8 archaeology and heritage resources, and
9 recreation, as shown by the photos in this banner.

10 So that's the presentation. I hope
11 you have a productive meeting. And Murray and I
12 would be pleased to talk to you when you are
13 finished with the Commissioners. Thank you.

14 THE CHAIRMAN: Thank you, Dale.

15 So that's the presentation. Do any of
16 the three of you have any questions or comments
17 you wish to make?

18 MS. HAPPEL: Well, I guess, being that
19 this community doesn't get a newspaper, I'm
20 suspecting that's the unfortunate -- why there is
21 not a lot of community members. And I know it
22 went out in the Hydro bill too as an insert, but
23 not everybody, obviously, didn't take note of it
24 or understand perhaps.

25 THE CHAIRMAN: Well --

1 MS. HAPPEL: Anyway, it is unfortunate.

2 THE CHAIRMAN: I suspect a lot of
3 people don't even look at those inserts that come
4 with bills.

5 MS. HAPPEL: That could very well be.

6 I'm a recreational owner, I own a
7 campground right along Lake Winnipeg.

8 THE CHAIRMAN: I should have noted in
9 my introductory comments that we do record
10 everything and we do produce a verbatim transcript
11 which will be on our website within a few days.
12 If you are going to speak, we have to use the mic
13 so that it goes into the recorder. Sorry, I
14 forgot that.

15 MS. HAPPEL: I guess I had happened to
16 pick up the newspaper in our neighboring community
17 and I knew this was coming. So I had gone on the
18 website and I guess looked at the presentation
19 that we've just heard. So this Commission was
20 asked by the Conservation to look at it?

21 THE CHAIRMAN: Yes.

22 MS. HAPPEL: So then who, I guess looks
23 at Manitoba Hydro when they are over the 715? I
24 understand they let the water lower, but that's in
25 default of this, whatever agreement that they

1 have. What ramifications do they have, outside of
2 letting the water run faster out of Jenpeg?

3 THE CHAIRMAN: To my knowledge there
4 aren't any ramifications. I don't think that
5 there are any penalties, because often -- in fact,
6 probably most often the excess water has nothing
7 to do with Manitoba Hydro, it is high water years.

8 MS. HAPPEL: Natural.

9 THE CHAIRMAN: It is natural. And the
10 operating rules, as Dale said, require them,
11 require Manitoba Hydro, when it is above 715 to
12 have the gates fully opened to get the water out
13 as much as possible.

14 MS. HAPPEL: Um-hum. So, I'm fairly
15 new to this community, I have only been here about
16 16 years. So in that time there was the flood of
17 the century, and I'm right along the lake, and
18 that year we did not notice any real difference to
19 say that there was a flood. The lake level really
20 didn't rise, it didn't hit our shoreline, or any
21 erosion that we have seen in the last years.

22 THE CHAIRMAN: Which flood of the
23 century? We have --

24 MS. HAPPEL: Is that the one that was
25 described?

1 THE CHAIRMAN: We have different
2 years.

3 MS. HAPPEL: I'm thinking it was '97.

4 THE CHAIRMAN: '97 is the one that
5 Winnipeggers call the flood of the century. Some
6 people call 2011 flood of the century because that
7 particularly hit Western Manitoba.

8 MS. HAPPEL: Yeah, I thought that one
9 was called a weather bomb. Another one, there has
10 been so many, right? So I guess my question is,
11 and taking into account that I haven't been here
12 along the lake for that many years, and without
13 dealing with weather, so in that time frame, like
14 we have now opened up from Devil's Lake, right,
15 there is more -- and I don't think this is a
16 natural event, right, we are allowing water from
17 another river system that didn't exist previously,
18 and the whole Portage Diversion I suspect goes
19 through the northern route and all of that. So
20 there is still only that one outlet, but what my
21 point is, there is more water outlets that are
22 being allowed to come into Lake Winnipeg, so I
23 guess the ramifications of that as well, right?

24 THE CHAIRMAN: That's very true.
25 Although most of it is not really allowed, I don't

1 think Manitoba -- Manitoba would rather not have
2 Devil's Lake water coming in, but that was a
3 decision that was made unilaterally by the State
4 of North Dakota. And I suspect that it is not a
5 lot of water coming from Devil's Lake. But there
6 have been, or there has been increased water,
7 increased precipitation in southern North Dakota,
8 or the southern Red River Valley, which adds to
9 water coming into the Red River. There has been a
10 lot more in Northwestern Ontario, which comes in
11 through the Winnipeg River. There were a lot of
12 news stories this summer about Lake of the Woods
13 and how high the water was there this past summer.
14 And then the last two out of the last three years,
15 was it '11 and '14, the Saskatchewan River -- not
16 the Saskatchewan River, the Assiniboine River
17 coming from Saskatchewan had way more water than
18 ever before.

19 MS. HAPPEL: Um-hum.

20 THE CHAIRMAN: So that, you know, your
21 basic premise is right, there is a lot more going
22 in the last couple of years. How has it been here
23 in the last couple of years? Is it higher?

24 MS. HAPPEL: For us personally, we are
25 right along the lake, and typically we would have

1 a beach that, like our business revolves around,
2 and it has been non-existent. And we have had
3 upwards of 50 feet of erosion within that time.
4 And I guess what we notice daily, just from
5 looking out our window, is that outside of the
6 fact of the erosion, because the water level is
7 continually so high, the vegetation doesn't have a
8 chance to regrow. And after that in 1997 flood,
9 there was a huge drought. And within that summer
10 we had probably 300 feet of beach and it was
11 covered with bulrushes, within one short summer
12 that Manitoba has. And the next year, of course,
13 the water came, but those bulrushes survived under
14 the water, as whatever their natural state. And
15 we had, I read an article from the University of
16 Manitoba, and that had to do with the marshes, and
17 we are constantly trying to find ways to have the
18 vegetation come back, just for esthetic purposes,
19 and I guess that's what seems to be the going buzz
20 about keeping the lake healthy.

21 And their idea was to plant willows in
22 a manner, not vertically, but horizontally so that
23 you are making a netting with their roots. And I
24 tried that, and in the spring they were all
25 growing. And yeah, a month later, they never saw

1 daylight. And this was right up to where the
2 shoreline is. So, I mean, that's our personal,
3 what we see coming out of our window.

4 And I'm not sure on the wording of
5 this agreement, but I thought somewhere I had read
6 the average level. And that's correct, it is an
7 average, a ten-year average, is that somewhere in
8 the wording?

9 THE CHAIRMAN: Well, I think that some
10 of the documentation has indicated an average
11 level of the lake over the whole 40 years or so.

12 MS. HAPPEL: See, my concern, my
13 thought was then that if it is continually at a
14 higher level, the average obviously rises, and
15 that was sort of a concern.

16 THE CHAIRMAN: Yeah. I think that
17 over the entire 40-year period, the average is
18 more or less the same as natural. Within that
19 there might be periods, particularly in the last
20 couple of years with this excessive input, that
21 the average level may be higher.

22 MS. HAPPEL: Um-hum.

23 THE CHAIRMAN: Could I ask you to
24 state your name for the record?

25 MS. HAPPEL: Joanne Hapel, H-A-P-E-L.

1 So from this Commission, these are all
2 going to be recorded, and then that's going to be
3 something used to grant the plan, or whatever they
4 have, as it is. Can we expect changes to it or --

5 THE CHAIRMAN: I can't tell you that
6 now. Manitoba Hydro has asked for no changes. We
7 still have -- this is week five now, or six, I
8 think it is week five -- we still have another --
9 we are going to in total have about seven weeks of
10 hearings. So our hearings are going to go until
11 mid to late April. We still have another, a
12 number of rural communities. We are in this area
13 tomorrow, Berens River later in the week, back to
14 Sagkeeng on Friday, and then back up north to
15 Cross Lake next week. Then in early March, we are
16 going to start in Winnipeg and go for, right now
17 it is scheduled five weeks of hearings in
18 Winnipeg, and then one more week up north in mid
19 April. So we have a lot of hearings left. But
20 what we hear in all of our communities, including
21 this one, we will report in our -- or note in our
22 report to the Minister what we have heard in the
23 communities.

24 We will make some recommendations to
25 the Minister, some of them may relate to the

1 licence. We also make non-licensing
2 recommendations that are designed to address in
3 general environmental issues that may not be
4 specifically related to the licence. So we may
5 make some of those to the Minister as well. But
6 at this point, that won't -- what those
7 recommendations might be won't be decided until
8 after the final hearings in late April, when the
9 panel sits down and starts talking about stuff.

10 MS. HAPEL: Um-hum.

11 THE CHAIRMAN: So, thanks for your
12 comments. Anybody else? Nothing to say, it is
13 okay?

14 MR. MONKMAN: William Monkman from
15 Loon Straits.

16 Is it possible that holding the level
17 of the lake higher than natural during the summer
18 and getting these awful storms that we have been
19 getting gives it a better chance for the erosion,
20 more damage?

21 I grew up at Loon Straits. I fished
22 on the lake for 47 years, and I've never seen so
23 much erosion on the lake as the last few years,
24 and most of it is in the fall with the big north
25 winds. And possibly we would have lucked out if

1 the water was allowed to drain naturally down to
2 where it could have been, and not caused this
3 problem. And we have lost our dock system, we
4 lost about 30 feet of solid clay from beside our
5 dock, from that last big storm, and I think it was
6 2011, and everything is pretty well destroyed
7 there. We have lost part of our road. We are
8 trying to get funding to rebuild the road out of
9 our community.

10 And so the question I guess was, to
11 start, is it possible that we wouldn't have had
12 this erosion if the lake was allowed to drain
13 naturally?

14 THE CHAIRMAN: I think Manitoba Hydro
15 would argue that they don't keep the lake
16 artificially high, and I think Dale stated that in
17 his comments. And as Dale also pointed out, the
18 lake can actually drain about 50 per cent more now
19 than it could before this project was completed.

20 Your basic premise, though, if the
21 lake is higher when the fall storms hit, you know,
22 will it cause more erosion? I think, and I'm not
23 an expert, but I think that that is yes. But
24 Hydro would argue, and with some basis, that
25 that's natural. I mean, we know that the lake, as

1 Ms. Hapel just told us about her area, and we have
2 heard from other people around the lake, the last
3 few years in particular have been particularly
4 high. And that's probably because of natural
5 reasons -- well, it is because of natural reasons,
6 there is more input coming into the lake.

7 So, you know, your basic premise, high
8 water in the fall when the storms hit, yes, it is
9 going to cause more erosion. Is it Hydro's fault?
10 Probably not.

11 MR. MONKMAN: I guess my comment is,
12 Hydro is good, but it is the damage that we see
13 happening to our communities that really hurt.

14 THE CHAIRMAN: Thank you, Mr. Monkman,
15 I really can't answer much more than I did so...

16 The two gentlemen that just arrived,
17 do you have any comments that you want to say?

18 SPEAKER: We don't even know what it's
19 about.

20 THE CHAIRMAN: Well, it is about
21 Manitoba Hydro and their regulation of Lake
22 Winnipeg. And we've been asked by the government
23 to look at any impacts or effects caused by Lake
24 Winnipeg Regulation.

25 Now, we did have an explanation

1 earlier before you came from Manitoba Hydro
2 describing the project.

3 Anybody else have any more questions
4 or comments they wish to make? We will wait a few
5 more minutes, we will wait until at least 7:30,
6 and if anyone else shows up or if any of you come
7 up with questions that you would like to ask, just
8 let us know, and we will try to -- if we don't
9 have answer, we will make note of it, and it will
10 become part of our record.

11 (RECESS TAKEN)

12 THE CHAIRMAN: So has anybody come up
13 with any questions or comments they wish to make?

14 Well, in that case I think we will
15 close the meeting. Thank you to those of you who
16 did come out and thanks for your comments. Good
17 night.

18 (Concluded at 7:30 p.m.)

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OFFICIAL EXAMINER'S CERTIFICATE

I, CECELIA J. REID, a duly appointed Official
Examiner in the Province of Manitoba, do hereby
certify the foregoing pages are a true and correct
transcript of my Stenotype notes as taken by me at
the time and place hereinbefore stated, to the
best of my skill and ability.

Cecelia J. Reid
Official Examiner, Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.