

MANITOBA CLEAN ENVIRONMENT COMMISSION

LAKE WINNIPEG REGULATION REVIEW

UNDER THE WATER POWER ACT

VOLUME 3

* * * * *

Transcript of Proceedings
Held at RBC Convention Centre
Winnipeg, Manitoba
THURSDAY, MARCH 12, 2015

* * * * *

APPEARANCES

CLEAN ENVIRONMENT COMMISSION

Terry Sargeant - Chairman
Edwin Yee - Commissioner
Neil Harden - Commissioner
Beverly Suek - Commissioner
Bill Bowles - Counsel to Commission
Cathy Johnson - Commission Secretary
Joyce Mueller - Administrative Assistant
Amy Kagaoan - Administrative Assistant
Phil Shantz - Advisor
George McMahon - Advisor
Bob Armstrong - Report writer

MANITOBA CONSERVATION AND WATER STEWARDSHIP

Rob Matthews
Puru Singh
Scott Natchigall

MANITOBA HYDRO

Doug Bedford - Counsel
Janet Mayor - Counsel

CONSUMERS ASSOCIATION OF CANADA (Manitoba chapter)

Byron Williams - Counsel
Joelle Pastora Sala - Counsel
Gloria Desorcy

MANITOBA METIS FEDERATION

Marci Riel
Jasmine Langhan

MANITOBA WILDLANDS

Gaile Whelan Enns

PEGUIS FIRST NATION

Lloyd Stevenson

PIMICIKAMAK OKIMAWIN

Annette Luttermann
Darwin Paupanakis
Jeremiah Raining Bird
William Osborne

KEWATINOOK FISHERS

Meryl Ballard

NORWAY HOUSE FISHERMAN'S CO-OP

Keith Lenton

APPEARANCES

TATASKWEYAK CREE NATION

Sean Keating

INTERLAKE RESERVES TRIBAL COUNCIL

Cory Shefman

BLACK RIVER FIRST NATION

Chief Abraham

Peter Kulchyski

Ryan Duplassie

INDEX OF PROCEEDINGS

Hydro Panel - David Cormie, Kevin Gawne
Gary Swanson, Mark Sweeny,
Dale Hutchison

Cross-examination by Chief Abraham, Peter Kulchyski	424
Cross-examination by Mr. Williams	451
Cross-examination by Mr. Raining Bird	524
Cross-examination by Mr. Stevenson	608

INDEX OF EXHIBITS

WPG 10	Save the Lake Winnipeg Project letter that was provided during the scoping meeting	626
WPG 11	Submission from Manitoba Association of Cottage Owners as of May 28	626
CAC 1	Material handed out by CAC	626

1 THURSDAY, MARCH 12, 2015

2 UPON COMMENCING AT 9:30 A.M.

3 THE CHAIRMAN: Good morning. Welcome
4 back. We now resume cross-examination of the
5 Manitoba Hydro panel. There's been a bit of a
6 horse trading this morning, so first up will be
7 Black River, followed by the Consumers
8 Association.

9 So Black River, come forward, please.
10 Would you please introduce yourselves for the
11 record and then proceed to your cross-examination.

12 CHIEF ABRAHAM: My name is Chief
13 Abraham from Black River First Nations.

14 MR. KULCHYSKI: I'm Dr. Peter
15 Kulchyski, speaking here in capacity as an advisor
16 to Black River First Nations, and in my other
17 capacity with Kayperg (ph).

18 MR. DUPLASSIE: And I'm Ryan Duplassie
19 from the University of Winnipeg on behalf of Black
20 River.

21 CHIEF ABRAHAM: Before I turn over to
22 my colleagues, I'm just going to ask a couple of
23 questions.

24 First of all, I guess we welcome this
25 opportunity to speak here. In regard to the

1 regulation of lake water, we have been asking for
2 funding from the Province of Manitoba and also
3 from Hydro at previous times in regard to First
4 Nations being able to do a study on their own to
5 see whether the impacts that they say are minimal
6 are verified. And we have always faced resistance
7 from both parties to state that -- basically,
8 Manitoba Hydro is stating that there is minimal
9 impacts to the First Nations in the southern
10 basins of Lake Winnipeg. But in our presentation
11 that we did to the CEC, it clearly shows that we
12 are majorly impacted. We had been losing land
13 erosions.

14 We have also had the province of --
15 not the province, but Manitoba Hydro consultants
16 come out to our community. We were elected in, in
17 2013. In about August 2013, there was a
18 representative from Manitoba Hydro that came out
19 asking about the impacts that we have had. And we
20 explained to him the impacts that we have been
21 facing. And just to take us up further, the same
22 consultant or representative from Manitoba Hydro,
23 they came out previously under the previous Black
24 River First Nations leadership, and it's always
25 been the same thing, we are always faced with

1 erosions. And to date we haven't had a response
2 from Manitoba Hydro.

3 And if you could see the impacts that
4 we're faced with, and we keep asking from both
5 parties, which is Manitoba Hydro and also from the
6 Province of Manitoba, see if they would fund us so
7 that we could do a thorough study on our own on
8 the impacts. If you are so sure that there's no,
9 very little impacts to the southern basins, why
10 wouldn't you give us that opportunity to verify
11 that on our own?

12 The other question that I have in
13 regard to the regulations of the lake water, all
14 this erosion that has taken place is going some
15 place. Does it drain out or does it settle to the
16 bottom of the lake where it increases the water
17 level on the lake, making it wider and wider?

18 We had a picture, and unfortunately we
19 only had it on a cell phone at the time. But
20 since then we have been able to get this picture
21 and be able to show where big tracks of land has
22 been broken away from our area where there was an
23 abundance of wildlife that used to exist off of
24 it. And it just basically -- there's two chunks
25 of land that broke off from our territory and

1 floated out to the lake. So if there's little
2 impact to our community, we question, why can't we
3 get that funding in order to do a proper study for
4 ourselves to verify that there's very little
5 impact? Miigwech.

6 THE CHAIRMAN: So I think there were
7 two questions in there. One was a question about
8 funding, the other one was a question about where
9 does the land that erode from the shoreline end
10 up?

11 MR. HUTCHISON: Thank you, Chief
12 Abraham.

13 Concerning the funding, I'm not aware
14 of a request by Black River First Nation for
15 funding to verify water levels. I'm aware that
16 there were concerns about impacts on the Winnipeg
17 River, and I understand that Black River and our
18 Aboriginal relations division had been in
19 conversation about that. But I am not aware of a
20 request for funding due to water studies. So I
21 guess that would be the answer for the first
22 question.

23 The second question about what happens
24 to land that erodes from the shoreline and does it
25 make the lake higher? My understanding is that if

1 you remove an area from the shoreline, the lake
2 actually increases by the amount of that area that
3 has been eroded into the lake.

4 CHIEF ABRAHAM: Thank you, Mr. Chair.
5 Just a subsequent question, when you make that
6 statement about the funding. There are several
7 projects that we have been working on with
8 Manitoba Hydro, and a lot of them, there's been a
9 request for funding. And a lot of times we get
10 basically the same answer, no. So it's not just
11 the one. I know we're doing the east side lake
12 transmission line, where we requested for funding
13 too to do a thorough study on there, and we have
14 been basically told no. And the lake water system
15 too, it was basically the same thing.

16 MR. HUTCHISON: Right. And I'm aware
17 that you have been in discussions with our
18 transmission group that's working on a
19 transmission line in the area, or distribution
20 line -- actually, I think it is the transmission
21 line. Because of the effect that Lake Winnipeg
22 Regulation has on water levels, it will reduce the
23 peak water levels and the average water level of
24 the lake, we don't really have a rationale or a
25 basis to fund studies, because our sense is that

1 the impact is actually a beneficial one.

2 MR. KULCHYSKI: Good morning.

3 THE CHAIRMAN: Are you going to pursue
4 this?

5 MR. KULCHYSKI: Yeah.

6 THE CHAIRMAN: Because that really is
7 beyond the scope of these hearings. I think
8 that's a very legitimate issue between Black River
9 and Manitoba Hydro.

10 MR. KULCHYSKI: Not the transmission
11 line, but funding of studies of the basin.

12 THE CHAIRMAN: But, again, the funding
13 by Manitoba Hydro of studies in your community, by
14 your community, is outside of our scope. We have
15 no authority to rule on that or to make any
16 commentary on that. My suggestion would be that,
17 off the record at another time, Black River and
18 Manitoba Hydro continue to pursue this, but it's
19 beyond the scope of these hearings.

20 MR. KULCHYSKI: So you couldn't, as a
21 condition of a licence, insist that there be some
22 third party objective, or even First Nation
23 controlled studies of the impacts of the water
24 level?

25 THE CHAIRMAN: We could certainly

1 suggest something like that, but we could not --
2 we can't say that Manitoba Hydro or the Manitoba
3 government should specifically fund an individual
4 project in an individual community.

5 MR. KULCHYSKI: I'm sorry, I'm not
6 talking about -- I'm saying certainly that Black
7 River is interested in participating, particularly
8 going forward.

9 THE CHAIRMAN: And that's fair enough,
10 and I think when you make your presentation in a
11 few weeks, that would certainly be something we
12 would be interested in hearing.

13 MR. KULCHYSKI: Could we ask now,
14 though, whether Hydro would be interested in
15 funding --

16 THE CHAIRMAN: But today we are here
17 to cross-examine Manitoba Hydro on the evidence
18 that they presented in summary two days ago in
19 this binder, but also all of the documentation
20 that they have submitted, including the so-called
21 plain language document and other supporting
22 documents. But we're not here to pursue funding
23 operations, not at this time. I mean, you can
24 make those presentations in your submission
25 whenever you are scheduled to be on the table or

1 at the table, but that's not today's business.

2 MR. KULCHYSKI: Okay.

3 THE CHAIRMAN: His question about the
4 shoreline erosion was certainly a legitimate one
5 for this today, but not the funding issue.

6 MR. KULCHYSKI: So then we'll turn to
7 the other set of questions that we have. And I
8 just want to say good morning to everybody. And
9 we have five questions basically. And you can
10 tell us whether they are in order or not.

11 Well, firstly, let me kind of follow
12 up a little bit on that. We're just curious about
13 how you square the circle with, you know,
14 observation is one of the first principles of
15 science, and people in Black River, as well as we
16 have been hearing testimony from people all around
17 the lake, are saying that since the Jenpeg dam was
18 constructed, they have seen greater levels of
19 erosion. And there are all kinds of potential
20 reasons for why that might be. But certainly in
21 the south basin people are seeing an increased
22 amount of erosion. We heard evidence from an
23 elder in Black River who said that before the
24 1970's, there was never, ever, ever any flooding,
25 a fairly strong statement, and that consistently

1 flooding and increased flooding has happened since
2 1976, since the Jenpeg dam. So we're just sort of
3 curious about why that wouldn't make you more
4 curious to maybe look at traditional knowledge,
5 look at other forms of study, increase the amount
6 of scientific study here in the area. Instead, we
7 just seem to hear that this has been for the
8 benefit of the communities and, you know, kind of
9 no response. So how do you square the circle with
10 what people are observing versus what your science
11 is telling you, I guess?

12 MR. HUTCHISON: I guess one of the
13 things we tried to present in our presentation on
14 Tuesday was that erosion has been on the lake for
15 a long time, erosion and flooding. The issues go
16 back, we have photos from -- it's actually rather
17 interesting. If you look at flood events in the
18 last hundred years of data that we have, if you go
19 to the Manitoba archives, you look at those years
20 where there were high waters and you'll find lots
21 of newspaper articles and photos of the flooding
22 and erosion issues that occurred.

23 So our understanding, and this isn't
24 just scientific, this is going back, just looking
25 at people's, you know, what was occurring at that

1 time, is that those issues have been there a long
2 time. I also presented yesterday, or on Tuesday
3 that we have seen increased inflows into Lake
4 Winnipeg since the project started, and we don't
5 know why that is. There could be hydroclimatic,
6 could be land use changes, could be upstream
7 regulation, there's a lot of factors that could be
8 responsible. But regardless, we have seen more
9 inflows to the lake.

10 At the same time, what we presented
11 with the sort of more scientific side are the
12 water levels on Lake Winnipeg, which show that the
13 average level on the lake hasn't increased. In
14 fact, when you look at our, the simulation that we
15 presented, we can demonstrate how we have reduced
16 the average level of the lake. And we have
17 definitely increased flood peaks by about
18 two feet. So we feel that this effect of LWR, if
19 you consider that, or if you look at erosion as
20 having, or the greatest amount of erosion
21 occurring with a combination of high water levels
22 and high winds, then the fact that LWR has reduced
23 water levels should be having a beneficial effect
24 on erosion. So that's our understanding and it's
25 sort of based on, you know, there is some science

1 but there are also more anecdotal information from
2 records about how lake behaved even before LWR was
3 here.

4 MR. KULCHYSKI: Can you say when you
5 started to observe the increased flows into the
6 lake, like when does that start to happen? And is
7 it increasing or is it, you know, sort of roughly
8 a steady state since you began observing?

9 MR. HUTCHISON: It's gone, I guess, up
10 and down. But overall we looked, if you looked at
11 the time that Jenpeg was put in, in 1976 till now,
12 and inflows to the lake have increased 6 percent
13 on average over that time period. If you look at
14 the last 10 years, we have been in a very wet
15 cycle and it's been a 37 percent increase. Of
16 course, we have also had periods where we had a
17 drought. In 2003 I think it was the third
18 greatest drought on record that we have got. So
19 the water levels on Lake Winnipeg have continued
20 to sort of go up and down.

21 MR. KULCHYSKI: All right. Let me
22 move to a distinct question. I guess we have the
23 sense generally that it's difficult for you to
24 reduce water levels that would allow maybe for
25 greater shoreline safety and regeneration, because

1 too low of a water flow would result in
2 insufficient storage for energy production.
3 That's our general sense of the picture. And
4 given that there's potential for alternative
5 electric energies on large scales on the horizon,
6 are you at all considering the possibility of
7 placing, or working with the province to place
8 other priorities, shoreline retention, flood
9 reduction, even cultural uses, before electricity
10 generation as a priority in the future? Is that
11 something that's within the span of what you're
12 considering?

13 MR. CORMIE: Dr. Kulchyski, as I
14 mentioned in my comments yesterday and in my
15 opening comments, Manitoba Hydro's development
16 plans, as we go forward into the future, have been
17 predicated to date assuming that the licence for
18 Lake Winnipeg would remain as it is written. But
19 I also suggested that as we come up to a renewal
20 licence in 2026, that Manitoba Hydro would be
21 participating in an evaluation of all the options
22 associated with a licence in the renewal. And I
23 think my words were we would want to strike a
24 modern balance, and that may still mean the same
25 water level range on Lake Winnipeg. It could mean

1 a slightly different water level range. But to
2 date, our plans have been assuming that it was
3 status quo, but if public policy, and it's in the
4 public interest to make those changes in the
5 future, we would participate in those discussions,
6 recognizing that there are other values that have
7 an influence on water policy and water
8 development.

9 MR. KULCHYSKI: And do you have, just
10 a supplement to that, is there a direct kind of
11 economic correlation to the water level? Like can
12 you say, if you lose a foot of the lake, it's
13 costing you, you know, a hundred million dollars,
14 or some fairly close economic value?

15 MR. CORMIE: We can do calculations to
16 find out the utility cost, cost to the customers
17 of Manitoba Hydro, if the limits were changed.

18 MR. KULCHYSKI: But you don't have
19 that yet?

20 MR. CORMIE: I think that's in
21 appendix 11, where we have calculated what would
22 it cost Manitoba Hydro ratepayers if the licence
23 limit of 715 was reduced to 714? And that
24 involves the lost production value of electricity,
25 the cost of changing our development sequence to

1 still maintain the same level of reliability.

2 But, you know, that's only part of the story.

3 MR. KULCHYSKI: Sure.

4 MR. CORMIE: And you know, to make any
5 change would have to be studied in a comprehensive
6 manner, looking at all the aspects, including the
7 aspect of the impacts to the downstream
8 communities and the additional adverse impacts
9 that are associated with that. We haven't
10 included in that calculation in that appendix the
11 cost of having to renegotiate all those settlement
12 agreements that exist today, and the potential for
13 additional mitigation and programming associated
14 with that change.

15 MR. KULCHYSKI: Thanks. So I'll move
16 on again.

17 There are about 90 provincial dams, as
18 we understand it, in operation around the
19 province. These dams are mostly for the purposes
20 of irrigation and are wholly separate from the
21 hydroelectric system operated by Manitoba Hydro.
22 However, many of them are in states of disrepair
23 that the province does not wish to refurbish or
24 upkeep. Many will be decommissioned and torn down
25 resulting in even more water flow into Lake

1 Winnipeg. Is Manitoba Hydro in conversation with
2 the province, engineers and planners, to conduct
3 joint studies of the ultimate implications of this
4 for Lake Winnipeg Regulation?

5 MR. CORMIE: No, Manitoba Hydro has
6 not been in a joint water management study process
7 with the province on their projects.

8 MR. KULCHYSKI: Have you done any work
9 to think about how that might change the flow into
10 the lake and how that might impact their
11 management?

12 MR. CORMIE: Well, I think generally
13 the more storage that's effective in the watershed
14 makes it easier to manage Lake Winnipeg. You
15 know, the water doesn't rush into the lake as
16 quickly and doesn't have to be past downstream as
17 quickly if there is upstream storage. And you
18 know, I think that's the point that the IISD makes
19 in their argument that there should be more
20 upstream storage.

21 Conflicting with that, though, is the
22 desire of people to get water off their land. And
23 you can see what's happening on Lake Manitoba, as
24 the people around Lake Manitoba are saying, hey,
25 we're having flood issues, we need to take the

1 water out of Lake Manitoba. Where does it go? It
2 goes into Lake Winnipeg and then it goes
3 downstream.

4 So the history of storage development
5 has not been to increase storage and its
6 effectiveness in the province, it's been to reduce
7 the effectiveness of storage, create more drainage
8 to pass the flood downstream faster. And that's
9 causing problems for the people downstream,
10 including those on Lake Winnipeg and including the
11 people downstream on the Nelson River.

12 So there has to be some broad policy
13 discussions and land use regulations and it has to
14 be done at a provincial level. And Manitoba Hydro
15 would participate in those discussions, but
16 clearly that's a Provincial Government area of
17 responsibility and we will take our lead from
18 them.

19 MR. KULCHYSKI: So moving to another
20 area -- thanks for that. You have stated that
21 Lake Winnipeg Regulation doesn't affect the water
22 quality on Lake Winnipeg. However, I guess we
23 wonder whether you have the same position on all
24 the ancillary operations of Manitoba Hydro which
25 do feed sediment filled water into the lake, which

1 would normally be naturally filtered before
2 entering the lake. Do you believe that Hydro's
3 ancillary systems play a role in sort of creating
4 some of the water quality problems on Lake
5 Winnipeg?

6 MR. CORMIE: Could you give me an
7 example?

8 MR. KULCHYSKI: For example, on the
9 Winnipeg River, the dams on the Winnipeg River
10 are, you know, creating erosion and bringing
11 sediment into the river in a way that naturally
12 they wouldn't have. And that sediment is going
13 into the lake.

14 MR. CORMIE: The Winnipeg River flows
15 into the province at the border with Ontario. The
16 vast majority of that water is coming from
17 Ontario, very little of it rises in Manitoba. The
18 mode of operation of our dams in Manitoba is to
19 essentially hold the water levels constant
20 upstream of the dams. And so any fluctuations
21 that you are seeing on the flow of the Winnipeg
22 River are occurring upstream, either because of
23 regulation, or they are occurring naturally. And
24 those projects on the Winnipeg River have been in
25 place for, I think McArthur was the last one that

1 came in, in 1956, somewhere around there. So they
2 have been there a long time, very stable
3 facilities, and I don't believe that we have --
4 our projects are causing erosion in their
5 operation. If you are seeing a sediment coming
6 into the river, it's probably because of the
7 erosion that's occurring downstream at Pine Falls,
8 that's naturally occurring along the banks of
9 Winnipeg, and on the shores of Lake Winnipeg. But
10 they are not, I don't believe that's a result of
11 our operations.

12 MR. KULCHYSKI: All right.

13 MR. HUTCHISON: Sorry, if I could just
14 add something, Dr. Kulchyski? I don't think we
15 said that Lake Winnipeg Regulation doesn't affect
16 water quality. I'm saying there are so many other
17 factors, and that we're supporting independent
18 research to confirm the influence of LWR on water
19 quality. So far they haven't suggested that
20 it's -- if there is an effect, or so far they have
21 suggested that if there is an effect, it would be
22 minimum at best.

23 MR. KULCHYSKI: Can I ask you just a
24 bit about what the protocols are for the
25 independent research you support? Because through

1 these different processes, I have had a kind of
2 the sense that -- I mean, let me put it crudely --
3 that you can buy a scientist who will say what you
4 want. So I'm curious about how you keep them at
5 arm's length from you in terms of producing the
6 knowledge that they produce, just as a follow-up
7 to that.

8 MR. SWANSON: Maybe I can answer part
9 of that. Part of Hydro's contribution to the
10 science and research on Lake Winnipeg is to the
11 Lake Winnipeg Research Consortium. And it's a
12 significant program. It includes academics and
13 researchers from both Federal and Provincial
14 Government agencies and universities. And
15 Manitoba Hydro's role is to contribute to the
16 platform, essentially, the funding and the
17 operation of the boat, the Namao. And the
18 research is determined by the scientists, it's
19 determined, the research consortium has an annual
20 workshop to discuss the state of the science.
21 They have produced reports on that. And it's
22 entirely the product of the academic research
23 regulatory community.

24 Manitoba Hydro's role, like I said, is
25 to support the platform that the research is done

1 on. We specifically don't engage in the
2 development of that agenda.

3 MR. KULCHYSKI: So you haven't played
4 a role ever in encouraging certain researchers to
5 be used, or discouraging certain researchers, or
6 any of those kinds of interferences?

7 MR. SWANSON: Not to my knowledge, not
8 since I have been involved. And I sit on the
9 board for the research consortium.

10 MR. KULCHYSKI: Thanks. And then
11 lastly -- I know you're eager.

12 THE CHAIRMAN: You're doing well.

13 MR. KULCHYSKI: I'm curious about, you
14 know, since the early 1970s, when you have had
15 quite a fractious relationship with First Nations
16 communities, and we have seen the constitutional
17 recognition and affirmation of Aboriginal and
18 Treaty rights, and Manitoba Hydro itself has at
19 least arguably changed the nature of its
20 relationship with First Nations and has been
21 trying to improve it, and there's partnership
22 agreements. So I'm curious about whether you
23 would endorse, even encourage either a condition
24 or within the licence itself an acknowledgment
25 that the licence should operate within a framework

1 that respects and affirms Aboriginal and Treaty
2 rights. I'm glad if I have stumped you a little
3 bit.

4 MR. HUTCHISON: That was obvious, was
5 it?

6 You are right. Insofar as our early
7 developments did leave quite a legacy of issues
8 that Manitoba Hydro is now working with, and we
9 have done a number of initiatives like you
10 mentioned, agreements, equity partnerships. Our
11 corporate strategic plan talks about goals to
12 strengthen working relationships with Aboriginal
13 peoples, a number of other things. I don't think
14 that we think it would be appropriate, though, to
15 have something in our Water Power Act licence
16 saying how we affirm Aboriginal and Treaty rights.
17 I think there would be other areas where that
18 could be addressed more appropriately.

19 MR. CORMIE: Dr. Kulchyski, you know,
20 this issue under section 35 of the Constitution
21 Act is an issue between governments and the First
22 Nations. And the issue of resource allocation and
23 licensing is a decision that government makes.
24 And the issue of a renewal licence, and just the
25 process of applying for a final licence has

1 triggered those section 35 consultations with the
2 Aboriginal communities. And Manitoba Hydro is
3 supportive of that, but that is a process that
4 government is leading and it's their
5 responsibility to have those discussions with the
6 First Nations, as required under the Constitution.
7 Manitoba Hydro will follow the direction of
8 government when it comes to the outcome of that.

9 MR. KULCHYSKI: Let me ask one
10 follow-up. Specific to Black River, you know,
11 from the perspective of Black River they look and
12 they see agreements and some working arrangements
13 with communities that are downstream of the Jenpeg
14 dam. And they have actually tried to be engaged
15 with Manitoba Hydro, I would say generally in a
16 fairly constructive way for a long period of time
17 and are largely, you know, not getting funding to
18 support the kind of studies they think are
19 necessary, not really getting much of a sense that
20 Hydro is interested in them. What they are being
21 told is, the regulation of the lake is for your
22 benefit and that's all there is to it.

23 Now, a little more than 10 years from
24 now you'll be going into a permanent licence
25 exercise. The history you build with the

1 community now is going to reflect how the
2 community deals with you when it comes to that
3 longer term permanent licence. Is there any
4 thought that an earlier engagement with
5 communities like Black River, listening more
6 closely to what their traditional knowledge is
7 telling them, and maybe developing a growing
8 engagement with them might be beneficial to you in
9 the future?

10 MR. CORMIE: Yes. And I believe
11 Mr. Hutchison indicated that over the past few
12 years we have reached out to the community to
13 establish a relationship. And we're looking
14 forward to continuing that relationship. And I,
15 you know, I hear Chief Abraham talk about the
16 shoreline erosion that's occurring on his lands.
17 And this is the same, very similar story that we
18 hear from many people around the lake. We're
19 clearly aware of the issues of erosion. And we
20 are also aware that history tells us that the
21 erosion has been going back, we actually have some
22 surveys from 1876 on the west side of the lake,
23 just north of Gimli, where hundreds of feet of
24 shoreline have eroded. And this is all occurring
25 prior to Manitoba Hydro's activities with regard

1 to Lake Winnipeg. You know, so our desire is to
2 engage, to understand, to listen, and to the
3 extent that we believe our operations are having
4 an adverse effect, like they have downstream, we
5 engage in studies to determine what those effects
6 are and what things can be done, what compensation
7 needs to be paid.

8 As Mr. Hutchison said, though, Lake
9 Winnipeg floods now are passed through the lake at
10 lower levels than they would otherwise be as a
11 result of the project. And it's our belief that
12 this is a benefit to everyone, including the First
13 Nations around the lake, and that that's not an
14 adverse impact, that's a benefit, and it's a
15 benefit that everybody enjoys.

16 If there were other issues where our
17 operations were having an impact that we didn't
18 understand, and it was clear through our
19 discussions with you, and you relate to us that,
20 you know, something else is an issue, we would be
21 completely interested in understanding that and
22 seeing if that was something that we were
23 creating, and then working with you to try and
24 resolve it.

25 But the problems with erosion that

1 Black River is seeing on the lake are essentially
2 the same problems that everyone is experiencing.
3 And hundreds and hundreds of feet of shoreline
4 have eroded, and we sympathize with all people who
5 live around the lake and who are suffering from
6 that, but it's not something that I think Manitoba
7 Hydro can take responsibility for.

8 CHIEF ABRAHAM: Just one more, maybe a
9 couple more questions. In regard to the planning
10 of the Jenpeg development, how long was the
11 planning process on the table for Manitoba Hydro?

12 MR. CORMIE: I think we show in our
13 documentation of the history that the project was
14 developed over a relatively short period of time,
15 between about 1966, when the agreement with Canada
16 was signed to regulate Lake Winnipeg and, you
17 know, construction started in 1972. So the period
18 of study was relatively short compared to what we
19 would undertake today given, you know, the modern
20 environment in which we are now living.

21 CHIEF ABRAHAM: The reason I ask this
22 question is back up until the late '50s, the
23 community of Black River used to be out in the
24 mouth of the river, and after that it was moved
25 into the interior of the two rivers, O'Hanly River

1 and Black River. And prior to that, like I said,
2 we lived out at the mouth of the lake and we never
3 experienced no flooding in those times until after
4 probably 1976. We used to, when you talk about
5 the history of the lake, there used to be a time
6 when you could go by boat, when you were about 100
7 to 200 feet out on the lake, you could see the
8 bottom of the lake, the ripples of the sand at the
9 bottom. And some people would think it was pretty
10 shallow until they jumped in, it was about 10,
11 15 feet down. So after that, '76, you can't even
12 go a foot into the lake and not see the bottom.
13 So something has happened in between the time of
14 the dam that went in to present.

15 MR. CORMIE: Yes, you know, there are
16 many people around the lake who have noticed the
17 changes that are occurring to the lake, but there
18 are many other things that are occurring around
19 the lake that are causing changes as well. The
20 question is whether the regulation project is part
21 of that change.

22 I'm not sure if you have been to
23 Gimli, but First Street is on the shore of Lake
24 Winnipeg now. First Street used to be the first
25 street back from where the water was. So towns

1 like Gimli have lost significant waterfront over
2 the past hundred years as a result of erosion. So
3 it's not just your community that is being
4 affected, it's quite a common experience around
5 the lake where expanding -- the lake has expanded
6 because of erosion, and causing communities to
7 have to reset back. It is the nature of the south
8 shore of Lake Winnipeg that it is an eroding
9 shoreline, and people are adjusting in response to
10 that.

11 MR. KULCHYSKI: So just as a
12 follow-up, we recognize that there is a lot of
13 different factors changing the lake, but can you
14 say definitively that Jenpeg isn't one of them
15 that's contributed to some of these problems?

16 MR. HUTCHISON: I think in my
17 presentation I kind of went through each of these
18 factors. And what the consensus appears to be
19 amongst the scientists that are looking at it is
20 that if Lake Winnipeg Regulation is having an
21 effect, it's a minor one. So the big thing is the
22 upstream nutrient inputs into the lake, is the
23 biggest impact, and that's primarily from the Red
24 River. And that's what's causing this water
25 quality or water clarity issues and algal blooms

1 and that sort of thing.

2 CHIEF ABRAHAM: I just want to make
3 one final comment, and that's the part that we
4 don't have the opportunity to refute what you're
5 saying. You say you are a scientist. Basically,
6 it's scientist that you pay for. We don't have
7 the opportunity to refute that with people that we
8 can hire to argue that. And so it's coming your
9 side only. Miigwech.

10 MR. KULCHYSKI: Thanks for your
11 answers.

12 THE CHAIRMAN: Thank you.
13 Dr. Kulchyski, I'd just like to correct an
14 incorrect impression that you might have. We're
15 never anxious to see you leave the stand. You
16 always bring very interesting and very pertinent
17 issues to our proceedings. So thank you, Chief
18 Abraham, Dr. Kulchyski and Mr. Duplassie.

19 I believe next we have the Consumers
20 Association. Just state your name for the record,
21 Mr. Williams, and then you may proceed.

22 MR. WILLIAMS: Yes. Thank you and
23 good morning. My name is Byron Williams from the
24 Public Interest Law Centre and I represent the
25 Consumers Association, Manitoba branch. And I

1 should introduce Ms. Barbara Nielsen, who is a
2 board member of CAC who is at the CAC table. To
3 her right you'll find Ms. Joelle Pastora Sala, my
4 colleague. And probably in the back row you might
5 see a couple of interns that our centre has been
6 blessed with this year. J.P. Deniset who is from
7 Robson Hall, and also Mark Regehr from the
8 Canadian Mennonite University. So we welcome them
9 and appreciate their assistance.

10 And Mr. Chair and to the panel, I am
11 struggling with a bit of a cold, so if I show you
12 the discourtesy of putting a throat lozenge in my
13 throat, it's not meant as any disrespect to the
14 deliberations.

15 Good morning, Mr. Gawne. To your
16 credit, sir, you are an engineer and not a lawyer.
17 Would that be correct, sir?

18 MR. GAWNE: I am an engineer. I don't
19 know if it's to my credit.

20 MR. WILLIAMS: We could take a vote,
21 but I'm pretty confident what the results would
22 be.

23 It is the case, though, sir, that in
24 your role as department manager for energy
25 operations planning, you have familiarity with the

1 interim licence operating parameters as they may
2 affect operations and planning?

3 MR. GAWNE: That's correct.

4 MR. WILLIAMS: So if a bit later on in
5 our discussions, sir, I make reference to the
6 operating parameters, you will understand that I'm
7 not in any way seeking a legal opinion, but I'm
8 seeking to understand their implications for
9 planning and operations. Is that understood?

10 MR. GAWNE: Yes.

11 MR. WILLIAMS: Now, sir, you spoke
12 Tuesday about the decision models, the suite of
13 computer models that Hydro refers to as the
14 decision support systems. Does that ring a bell,
15 sir?

16 MR. GAWNE: Yes, it does.

17 MR. WILLIAMS: And that system is in
18 place to assist in making operational decisions,
19 correct?

20 MR. GAWNE: That's correct.

21 MR. WILLIAMS: And when you spoke of
22 the decision support system, would it be correct
23 to suggest that one element of that system is the
24 HERMES decision support system for energy
25 operations planning?

1 MR. GAWNE: Yes, that's correct.

2 MR. WILLIAMS: When you speak about
3 decision support systems, are you primarily
4 referring to HERMES, sir?

5 MR. GAWNE: The HERMES decision
6 support system are a suite of tools used in
7 operations planning for water management on Lake
8 Winnipeg Regulation. HERMES would be the primary
9 tool for that, however, we do have other
10 operations planning decision support tools, more
11 appropriate for different time horizons than
12 what's appropriate for Lake Winnipeg Regulation.

13 MR. WILLIAMS: In terms of LWR and
14 operations, the primary decision support system is
15 HERMES?

16 MR. GAWNE: Yes, that's correct.

17 MR. WILLIAMS: And without getting
18 into any detail, the other ones for different
19 planning horizons are tools such as SPLASH and
20 PRISM, would that be fair?

21 MR. GAWNE: The SPLASH tool is not
22 necessarily an operations tool, but a resource
23 planning tool for system expansion studies. The
24 PRISM tool is similarly a longer term screening
25 tool to do studies similar to SPLASH.

1 MR. WILLIAMS: Thank you for that. In
2 your testimony on Tuesday, sir, you also indicated
3 that Hydro maintains a general awareness of
4 industry practice of other North American hydro
5 utilities such as Bonneville Power, B.C. Hydro and
6 Hydro Quebec. Is that correct, sir?

7 MR. GAWNE: That's correct.

8 MR. WILLIAMS: And without asking you
9 to elaborate, would that general awareness also
10 extend to the regulatory regimes and licensing
11 restrictions under which those utilities operate?

12 MR. GAWNE: I think in our
13 relationship with counterparts similar to myself,
14 with those entities such as BPA and Hydro Quebec
15 and others, you know, it's through our discussions
16 we are aware, but the discussions generally don't
17 centre on the specific regulatory regimes that
18 they are operating in.

19 MR. WILLIAMS: So, again, if I come to
20 a couple of questions on that subject later and
21 you feel uncomfortable answering, you'll just let
22 me know. Is that understood, sir?

23 MR. GAWNE: Yes.

24 MR. WILLIAMS: As a general element of
25 your work or in preparing for this hearing,

1 Mr. Gawne, would you have familiarized yourself
2 with the determinations of the International Joint
3 Commission as it related to the 2014 plan for Lake
4 Ontario and the St. Lawrence River?

5 MR. GAWNE: I have not been able to
6 review that material.

7 MR. WILLIAMS: And finally on this
8 subject, as a general element of your preparation
9 for the hearing or your general work, sir, would
10 you have generally familiarized yourself with the
11 licensing considerations and licensing terms
12 required to be considered by the U.S. Federal
13 Energy Regulatory Commission?

14 MR. GAWNE: Perhaps you can clarify,
15 is this in relation to achieving final licence or,
16 pardon me, achieving licences for new projects or
17 relicensing of better projects?

18 MR. WILLIAMS: I should have been more
19 precise and I apologize. The question was focused
20 in terms of new and the licensing of new projects,
21 hydroelectric projects?

22 MR. GAWNE: I haven't specifically
23 reviewed for procedures for licensing.

24 MR. WILLIAMS: Thank you. Mr. Gawne,
25 I want to see if we're on the same page in terms

1 of the definition. If I defined environmental
2 flow to mean the quantity, timing and quality of
3 water flows required to sustain freshwater
4 ecosystems, and the human livelihoods and
5 well-being that depend on those ecosystems, would
6 that be a definition you are comfortable with,
7 sir? I could repeat it if you'd like.

8 MR. GAWNE: It was a bit of a
9 mouthful, but maybe you could repeat that, please?

10 MR. WILLIAMS: If I defined
11 environmental flow to mean the quantity, timing
12 and quality of water flows required to sustain
13 freshwater ecosystems and the human livelihoods
14 and well-being that depend on these ecosystems, is
15 that a definition you are comfortable with, sir?

16 MR. GAWNE: That sounds like a
17 reasonable definition.

18 MR. WILLIAMS: And indeed it sounds
19 uncannily like the 2007 Brisbane Declaration; does
20 it not, sir?

21 MR. SWANSON: We are aware generally
22 of the concepts of ecological flow and understand
23 some of that.

24 MR. WILLIAMS: Thank you. And
25 certainly if I didn't say this before, a lot of my

1 questions will be focused on Mr. Gawne and
2 Mr. Cormie, but if there's other members from the
3 Hydro panel, they are more than welcome to pop in.

4 Mr. Gawne, in your testimony on
5 Tuesday -- and I should have noted that Mr. Penner
6 has been kind enough to offer to assist me with my
7 powerpoint communication, given my technical
8 ineptitude. But if perhaps we can turn to page 38
9 of Hydro's presentation of that day -- and thanks
10 to Mr. Penner.

11 Mr. Gawne, these are your operational
12 planning objectives which you have memorized,
13 correct, sir?

14 MR. GAWNE: I think I have read this
15 enough that I remember it, yeah.

16 MR. WILLIAMS: And I want to focus
17 first a bit word-by-word and focusing on the term
18 "reliable." My understanding is that in terms of
19 the corporation's planning criteria, there is both
20 a capacity requirement and an energy requirement
21 for reliability. Would that be fair, sir?

22 MR. GAWNE: Yes, that's correct.

23 MR. WILLIAMS: And I've heard
24 Mr. Cormie say this before but I'll ask you to
25 confirm that the corporation generally describes

1 itself as being energy constrained with water
2 inflows being a major determinant of power
3 production capacity. Would that be accurate, sir?

4 MR. GAWNE: I think that's an accurate
5 statement from a longer term planning perspective,
6 yes.

7 MR. WILLIAMS: And without digging
8 into great detail, but focusing on the energy
9 requirement in terms of reliability, that requires
10 Manitoba Hydro to ensure that it has adequate
11 resources, energy resources, to firm energy demand
12 in the event of the lowest recorded coincident
13 water supply condition. Would that be generally
14 accurate, sir?

15 MR. GAWNE: Generally that's correct,
16 yeah.

17 MR. WILLIAMS: I want to focus still
18 on this page on the first line in terms of the
19 reliable and economic operations. And Mr. Gawne,
20 one circumstance in which there might be a
21 trade-off between considerations of optimizing, or
22 protecting reliability and optimizing economics,
23 would ensue when the issue became whether to draw
24 down the reservoir in order to take advantage of a
25 short-term opportunity in the export market, or to

1 maintain the reservoir at a higher level out of a
2 concern with meeting future demand. Would that be
3 fair?

4 MR. GAWNE: I wouldn't necessarily
5 agree with that. If we are looking at a condition
6 where drawing down the reservoir would compromise
7 the firmness of the system in terms of energy
8 availability, we would not be doing that, to
9 exercise the use of that water for an opportunity
10 in the market or something of that nature.

11 MR. WILLIAMS: That's exactly my
12 point, though, sir. That's an example of where
13 the corporation, in doing its analysis, has to
14 consider the trade-offs between optimizing
15 economic result or protecting the reliability
16 objective. Would that be fair?

17 MR. GAWNE: That's fair, yes.
18 Reliability is over and above economics.

19 MR. WILLIAMS: Okay. And you have
20 adverted to this in your answer to responses
21 before, but that trade-off issue becomes
22 particularly acute in years where precipitation is
23 lower than average, or years where there is some
24 concern with the risk of a drought. Would that be
25 fair?

1 MR. GAWNE: I think that's a fair
2 statement. For example, in the 2003/04 drought,
3 our most recent major drought on the system, we
4 were incurring significant costs.

5 Excuse me, I might have to ask for one
6 of your lozenges.

7 We were incurring great cost to
8 protect storage so that we could weather a
9 continued drought. And in the end, it costs the
10 corporation a lot of money, but the reliability of
11 the system was maintained throughout that
12 operation.

13 MR. WILLIAMS: Thank you for that.
14 And just in terms of the lozenges, I'm down to one
15 but I am prepared to share.

16 MR. GAWNE: Or I could just not
17 answer.

18 MR. WILLIAMS: So Mr. Gawne, in terms
19 of the operations planning objective, one major
20 source of uncertainty is the inflow of waters into
21 Lake Winnipeg. Would that be fair?

22 MR. GAWNE: That's fair.

23 MR. WILLIAMS: And indeed to go a bit
24 farther, reservoir inflows drive the overall
25 amount of water available and represent the

1 dominant source of uncertainty in operations
2 planning?

3 MR. GAWNE: In terms of energy supply,
4 reservoir, or inflows to the system is the largest
5 uncertainty, yes.

6 MR. WILLIAMS: And as we look out to
7 the medium and longer term horizon, you would
8 agree that there is higher uncertainty than
9 historically related to reservoir inflows as a
10 result of both natural climate variability and
11 human induced climate change. Would you agree
12 with that statement, sir?

13 MR. GAWNE: Certainly effects such as
14 climate change and anthropogenic activity add
15 uncertainty to longer term water supply
16 conditions. But in the operating horizon, which
17 is kind of the domain that energy operations
18 planning is focused on, the larger uncertainty is
19 that variability, that the climate provides
20 inflow. So year to year variability is the
21 dominant uncertainty per se in terms of
22 operations.

23 MR. WILLIAMS: Okay. I thank you for
24 that. Staying still on the objective, and I want
25 to focus on the word "economic" for a moment. And

1 would one example of an economic call involve the
2 decision on whether to import power from what
3 might be a relatively high cost external source of
4 power in off peak hours, in order to reserve
5 domestic power for the purposes of selling into
6 the U.S. market at higher demand, higher price
7 peak times. Would that be the type of economic
8 consideration you might look at, sir?

9 MR. GAWNE: Yes.

10 MR. WILLIAMS: And in order to make
11 that type of economic calculation, the
12 corporation, as part of its ordinary planning
13 practice, would have to make reference both to the
14 domestic cost of producing power and its
15 expectations of prices that it might obtain for
16 power in the market-place. Would that be
17 accurate, sir?

18 MR. GAWNE: That would be a part of
19 the economic evaluation, if I understood your
20 characterization. We certainly, if we are
21 choosing to import electricity, the intent is for
22 that to be economic, again, if we're in that
23 economic realm of operations and we're not
24 governed by reliability.

25 MR. WILLIAMS: And I want to stick

1 with economic for a moment more. In terms of that
2 economic calculation, are the cost of domestic
3 power production and the price obtained in the
4 market-place the primary elements of that economic
5 calculation, sir?

6 MR. GAWNE: Those are some of the
7 considerations certainly. In a Hydro operation,
8 and when you have storage, the inherent trade-off
9 that you're making is a function of the future
10 conditions in the market and your future cost to
11 operate the system. So that trade-off, that
12 economic trade-off does have to consider that.

13 MR. WILLIAMS: And focusing on the
14 calculation, just on the word economic, is the
15 future condition in the market and the future cost
16 of production, are those the primary elements of
17 that calculation, sir?

18 MR. GAWNE: Well, I think if we go
19 back to that supply and demand balance that I
20 showed in my presentation on Tuesday, the decision
21 whether to import or export is a function of how
22 much future energy you anticipate having. So it's
23 not just a matter of the market prices and our
24 cost, because our costs are driven by, for
25 instance, how much water supply we have in the

1 system, right?

2 MR. WILLIAMS: So those would be the
3 big three considerations in that calculation on
4 the first line?

5 MR. GAWNE: Can you review those three
6 before I say yes?

7 MR. WILLIAMS: Well, I was hoping
8 you'd just agree with me, sir. But focusing on
9 that first line, the reliable economic operation
10 of power, the primary considerations involve
11 expectations of future water supply, expectations
12 of future market price conditions, and
13 expectations of the cost of production of power.
14 Would that be fair?

15 MR. GAWNE: The operating horizon or
16 the operating time frame has kind of various sub
17 time frames within that. So if we're talking
18 about a decision today versus tomorrow, well, it
19 may be a bigger factor tomorrow versus water
20 supply conditions because it's the winter and we
21 have a good sense of what our flows are. Are we
22 going to have a generation outage tomorrow? Is
23 the temperature forecast going to be off tomorrow
24 and the load is going to be higher or lower? So
25 it kind of does depend on how far out on the

1 operating highs when you are looking at it as to
2 what's the main driver in the decision. For water
3 management on Lake Winnipeg, which is what we're
4 talking about here, Lake Winnipeg Regulation,
5 future water supply is clearly a major driver.
6 Generally, the decision as to when to release
7 water, when we're now into that economic realm of
8 to release water from Lake Winnipeg Regulation or
9 not, the decision whether or not to release that
10 water is generally based on typical load, seasonal
11 load conditions, and that's the major driver. And
12 you know, the export side of water coming out of
13 Lake Winnipeg is largely a product of how much
14 water is flowing in the river at the time. So,
15 you know, the salvage of the water that shows up,
16 because we have to remember that when we release
17 water from Lake Winnipeg, it's weeks away from our
18 major generation on the Nelson River. So it's not
19 a matter of tomorrow's market price is going to be
20 very high, let's release water today. Oh no, the
21 market price is lower, let's back off. These
22 decisions are weeks away in terms of the effect of
23 that water arriving at our major generation. So
24 those decisions have to be made in advance and
25 they are generally made on a seasonal basis.

1 MR. WILLIAMS: And I don't want to
2 belabour this much more. I have your answer on
3 kind of the day-to-day operations. Let's say it's
4 the spring, May, June of 2015, and Mr. Cormie is
5 telling you that it looks like it's going to be
6 hot in Minnesota, and air conditioning, we might
7 be able to get 18 cents a kilowatt hour kind of,
8 and we might want to take a short-term contract a
9 few months out, that's when we see the economic
10 considerations assuming a higher prominence,
11 always weighed against that dominant reliability
12 concern. Are you confident you can draw down the
13 reservoirs to take advantage of that opportunity?

14 MR. CORMIE: I think, Mr. Williams, I
15 can help out here. We have functionally separated
16 the operation of the reservoirs from the
17 activities of Manitoba Hydro's power traders and
18 merchants in the market. So we don't let the
19 merchants make the decisions with regard to
20 reliability. That is Mr. Gawne's primary
21 responsibility. And he operates the reservoir
22 system independent of the power traders. And as
23 it indicates on the slide, reliability is his
24 chief and major focus. We meet the reliability
25 needs of the province first. We meet our licence

1 requirements. We meet all those other
2 responsibilities as they are laid out. And then
3 around that, we operate economically, given the
4 constraints that are imposed, reliability is a
5 constraint. And we don't let Mr. Gawne get
6 confused between what's happening in Minnesota and
7 his responsibility to Manitobans.

8 MR. WILLIAMS: Okay, thank you. I'll
9 come back to this, but I want to back away from
10 the operations planning objective for a moment.
11 And this can go to anyone on the hydro panel. Can
12 we agree that aquatic ecosystems provide numerous
13 functions of value to society?

14 MR. SWANSON: Yes.

15 MR. WILLIAMS: I thought you'd be all
16 over that one, Mr. Swanson.

17 Among these values would be elements
18 such as natural water treatment, would that be
19 fair, filtration and purification?

20 MR. SWANSON: Sure, on a general
21 level.

22 MR. WILLIAMS: Another one would be
23 moderation of floods and drought?

24 MR. SWANSON: Yes.

25 MR. WILLIAMS: Another one would be

1 habitats that support biodiversity, agreed?

2 MR. SWANSON: Yes.

3 MR. WILLIAMS: And another one might
4 be healthy populations of important native
5 species, agreed?

6 MR. SWANSON: Sure.

7 MR. WILLIAMS: Going back to, first of
8 all to Mr. Gawne and Mr. Cormie's side of the
9 table, are you familiar with the work of Troy --
10 excuse me of Austin and Bagstad in terms of
11 estimating ecosystem services in Southern Ontario?

12 MR. CORMIE: I'm not familiar with
13 that.

14 MR. GAWNE: I'm not directly familiar
15 with that. I believe I read some references to it
16 in the IISD report.

17 MR. WILLIAMS: Mr. Swanson, you look a
18 little more familiar.

19 MR. SWANSON: Not specifically with
20 that report, but the concept again of ecological
21 goods and services is not new to us.

22 MR. WILLIAMS: Okay.

23 MR. CORMIE: Mr. Williams, I'm
24 thinking that these are externalities in how you
25 value those things. And traditionally our utility

1 economics have not included those. Only once in
2 my memory have we included externalities in our
3 operational planning, and that had to do with
4 dispatching coal generation at Brandon, and we
5 included a premium associated with the carbon that
6 was associated with that. But to the extent that
7 there are other external values, generally we
8 don't make those value judgments. Those become
9 constraints. We rely on people like Mr. Swanson
10 to say the water needs to be maintained in a safe
11 level, and we ask him, well, what is that
12 condition? What do we have to do? And we're not
13 trading that off in order to achieve more economic
14 operation of the utility.

15 Licence constraints, environmental
16 constraints are exactly that, they are not -- they
17 constrain our operations. And Mr. Gawne includes
18 those as rules and they can't be broken. And to
19 the extent that those rules allow us some
20 flexibility in operating the utility, then our
21 models find the most economic way to operate given
22 that that rule set exists.

23 MR. WILLIAMS: Mr. Cormie, I thank you
24 for that because that is jumping into the thrust
25 of this line of questioning. And just to kind of

1 confirm that, when we look again to that first
2 line, and I understand your points about
3 constraints, but when we look to that first line,
4 in planning for the reliability and economic
5 operation of the system, I'm correct in suggesting
6 that there is no monetary valuation attributed to
7 the health of the Nelson River ecosystem. Would
8 that be fair?

9 MR. CORMIE: There is no value
10 function put into the modeling that says with
11 certain river flows the system becomes healthier.
12 We assume that it is healthy, given the rule set
13 that we have. And to the extent that there is an
14 issue, Manitoba Hydro will either mitigate it, fix
15 it, or we will change our operations so that our
16 operations also not causing that unhealthy state.

17 MR. WILLIAMS: Thank you for that.

18 MR. GAWNE: Perhaps I could just add
19 something? Sorry, Mr. Williams.

20 MR. WILLIAMS: Yeah, always.

21 MR. GAWNE: And it gets to the latter
22 part of that statement. Although we may not have
23 specific economic values for ecosystems within our
24 decision support modeling, that's not to say that
25 those considerations are not made in the

1 operations. I think we referred to a few examples
2 of that previously where, you know, if possible,
3 the flow changes that we make, for instance, at
4 Jenpeg are less aggressive, let's say, than the
5 licence allows in terms of how quickly flows are
6 transitioned at Jenpeg. And there's other
7 examples like that. So the modeling, as I have
8 said on Tuesday, is a tool, it's an advisory tool
9 to inform our decision makers and the people that
10 use those models. That's not to say that we are
11 hard wired to those models.

12 MR. WILLIAMS: Yes, and I'm going to
13 come back to your point, your thoughtful response
14 in just a minute, Mr. Gawne. But just to finish
15 my thought, again, you will confirm that in
16 planning for reliable and economic operations, no
17 value function is attributed to the health of the
18 Netley-Libau marsh in the operation support
19 decisions; is that correct?

20 MR. GAWNE: That's correct.

21 MR. WILLIAMS: So Mr. Gawne, going
22 back to your answer, again, to two answers before,
23 when you are looking at those trade-offs between
24 reliability, economics and the environment, you
25 are looking at them with two different currencies,

1 I'll suggest to you. There's an economic currency
2 attributed to the net revenue for Hydro, and there
3 is more of a value judgment attributed to the
4 environmental. Would that be fair, sir?

5 MR. GAWNE: I'd say there is more than
6 two currencies. Certainly in terms of the
7 reliability, we're talking about megawatts and
8 megawatt hours or gigawatt hours, energy quantity,
9 not dollars. People wanted their lights to turn
10 on when they go to use their electricity, and it's
11 not about -- we don't have an economic choice to
12 not provide that electricity. So there's an
13 energy quantity in terms of currency, there is,
14 yes, a dollar value when it comes into economics
15 and we're trying to operate the system
16 economically. In terms of the environmental and
17 stakeholder impacts, we don't have a specific
18 currency. And as you say, it's a consideration in
19 our operations, and we don't have as yet a
20 specific, you know, we haven't gone online to find
21 the exchange rate calculator per se for megawatt
22 hours to dollars to ecosystem values.

23 MR. WILLIAMS: Okay, thank you. And
24 I'm not now referring to Manitoba Hydro's values
25 or deliberations, but focusing you on the

1 literature related to reservoir optimization. Are
2 you familiar with suggestions in the literature on
3 reservoir optimization that when economic and
4 power values are contrasted with ecological
5 values, the ecological value benefits tend to be
6 devalued, simply because they are difficult in
7 quantifying using a single currency?

8 MR. SWANSON: Maybe I could offer a
9 few comments on that? Your comments about
10 different currency or lack of currency, in my
11 mind, are pretty pertinent. It's an issue that's
12 being struggled with, with resource management
13 very broadly, not specific, or not just specific
14 to reservoir management. I wouldn't use the word
15 "devalued," I would look more to the history of
16 environmental regulatory framework and the
17 environmental understanding. It's an area of
18 growing understanding, and the ability to even
19 consider the concept of ecological goods and
20 services, and the way it's been implemented, and
21 it's been implemented differently I understand in
22 different jurisdictions, that part of coming to a
23 standardization for that, it's not at a point like
24 the International Accounting Standards, for
25 example.

1 So it is an area of growth in terms of
2 understanding and research. And it's not been
3 devalued, it's probably not been precisely valued,
4 the uncertainties around it are quite high, and
5 with the best information at the time, as a former
6 regulator, that's my understanding of the context.
7 And we talked about the history of environmental,
8 the environmental regulatory environment and how
9 that's changed over time. The licence
10 considerations do include, they do reflect
11 environmental values. They may not be quantified
12 in the same fashion as sort of the economic
13 parameters, so...

14 MR. WILLIAMS: And Mr. Swanson, just
15 to follow up on that thought, within the modern
16 resource planning environment, you'll agree with
17 me that there is an interest in moving towards
18 well-accepted and internally consistent principles
19 for looking at ecological values. Would that be
20 fair?

21 MR. SWANSON: I would say that the
22 concept of ecological values is supported broadly
23 in terms of resource management. I'm not sure
24 about well-accepted standards. The concept is
25 well-accepted, the standards themselves are --

1 there are still multiple perspectives and
2 different ways that they had been used where they
3 have been used, in terms of goods and services
4 analysis, for example.

5 MR. WILLIAMS: Thank you. To finish
6 the point, though, there is a desire to move
7 towards well-accepted and internally consistent
8 standards, because otherwise the valuation methods
9 for ecological values tend to be quite subjective.
10 Agreed?

11 MR. SWANSON: I think we're all
12 looking for an easier formula. The reality is
13 that the science is inherently more uncertain,
14 given environmental variability, the many
15 interactions between different components in the
16 ecosystem. So while I would agree that there's a
17 desire to move toward standards, there's still
18 much to be done in that area. So without wanting
19 to leave you with the impression that I think that
20 it's just around the corner, I think that's where
21 we're working towards, but I don't think it's a
22 short-term objective necessarily.

23 MR. WILLIAMS: And the reason you're
24 working towards that objective, though, sir, is
25 because generally in the literature there's a

1 concern that in the absence of those consistent
2 principles, those value judgments are subjective
3 and open to the bias of individual decision
4 makers. Agreed?

5 MR. SWANSON: They are subjective at
6 some level. I would say that it would depend on
7 the process as to how and what you mean by bias.
8 I'm not quite sure.

9 MR. WILLIAMS: Fair enough.
10 Mr. Gawne, I think we're back to you now, and I'll
11 ask my very supportive colleague, Mr. Penner, to
12 turn to I believe it's page 41 of Hydro's
13 presentation from Tuesday. Thank you.

14 Mr. Gawne, we have talked both today
15 and you did on Tuesday about Hydro using a suite
16 of computer models to inform its decisions.
17 Agreed?

18 MR. GAWNE: Agreed.

19 MR. WILLIAMS: And the primary one for
20 your job is HERMES, correct?

21 MR. GAWNE: That's the primary model
22 in our department but I'm not the one at the
23 controls.

24 MR. WILLIAMS: And just as one example
25 of what you might do with your computer models,

1 you might look at the statistical relationship
2 between data describing current conditions, such
3 as the latest snow pack, precipitation,
4 temperature, to determine the likely near-term
5 hydrological system operations. Would that be
6 fair?

7 MR. GAWNE: Partially, we do look at
8 snow pack and precipitation and current flows in
9 the system. We're not looking at temperature
10 directly and projecting flows based on current
11 temperatures, no.

12 MR. WILLIAMS: And your decision
13 support systems have models for forecasting
14 important information such as inflows. That's one
15 element of them?

16 MR. GAWNE: That's correct. And as I
17 mentioned, I believe yesterday, we do use
18 forecasts from other agencies. So some of that is
19 essentially like a direct input, we're not
20 necessarily generating those forecasts, but we are
21 the recipient of that information.

22 MR. WILLIAMS: And you'll look at
23 forecasting ice conditions, agreed?

24 MR. GAWNE: Yes, ice conditions affect
25 our operations five or six months of the year, so

1 we have to consider that.

2 MR. WILLIAMS: And also you'll be
3 looking at a forecast for, for example, market
4 prices and load. Agreed?

5 MR. GAWNE: Certainly for load, given
6 that we are required to serve electrical load,
7 that's an important input, so we do have forecasts
8 for that. We obtain forecasts for load from a
9 different group within the company. But that is
10 input into our model, and market prices as well to
11 help us with the economic side of the operation.

12 MR. WILLIAMS: And then there's a flow
13 simulator to look at the impact downstream on the
14 rivers and lakes affected. Would that be fair?

15 MR. GAWNE: Yeah, and other purposes,
16 but, yes, we have a flow simulator.

17 MR. WILLIAMS: Now, Mr. Gawne, it was
18 a lengthy definition. Do you recall the
19 definition we used to describe ecological flows
20 that we used? I'm not asking you to repeat it
21 but --

22 MR. GAWNE: I recall, yes.

23 MR. WILLIAMS: Okay. Again, not
24 looking at the specifics of Manitoba Hydro's
25 modeling exercise, but would it be fair to say

1 that Hydro is aware of reservoir optimization
2 modeling in other jurisdictions that is
3 undertaken, for example, with an objective of
4 timing flow releases to meet water quality
5 constraints. Are you familiar with that?

6 MR. GAWNE: Yes, there are utilities
7 and entities in other jurisdictions with modeling
8 that does consider those factors.

9 MR. WILLIAMS: Again, there are
10 utilities in other jurisdictions that would look
11 at reservoir optimization modeling with an
12 objective to time flow releases to improve the
13 health of fish populations. You are aware of
14 that, sir?

15 MR. GAWNE: Yes, I am. I believe, for
16 example, Bonneville Power Authority and Columbia
17 River operation, objectives were set based on what
18 I understand to be a thorough review and
19 consideration of the various interests along that
20 waterway, including Hydro, and fish, and matters
21 such as this. So by setting objectives, entities
22 like BPA is able to include those constraints or
23 factors that drive the decision support systems
24 into their modeling.

25 MR. WILLIAMS: And when you use the

1 acronym BPA, you're referring to the Bonneville
2 Power Authority?

3 MR. GAWNE: I'm referring to
4 Bonneville Power Authority, yes.

5 MR. WILLIAMS: Okay. This can go to
6 the entire panel. Are you aware whether in the
7 scientific literature there is a suggestion that
8 the uncertainty associated with ecological
9 responses to flow could be as great as the
10 uncertainty associated with reservoir inflows and
11 the uncertainty associated with hydro power
12 markets?

13 MR. SWANSON: I'm not aware of any
14 studies that specifically speak to uncertainties
15 of it. As I previously stated, we're quite aware
16 of the uncertainties in terms of estimating
17 ecological responses.

18 MR. WILLIAMS: Okay. And it would be
19 fair to say that ecological outcomes related to
20 flow releases are another important source of
21 uncertainty related to Hydro operations?

22 MR. SWANSON: I would say the
23 outcomes, the ecological outcomes of many things
24 are uncertain, including Hydro operations.

25 MR. WILLIAMS: Okay.

1 MR. CORMIE: Mr. Williams, we have a
2 history of the hydrology of Lake Winnipeg that
3 goes back a hundred years. And for the vast
4 majority of that time, the Nelson River was
5 unregulated, and water flows were going up and
6 down based upon the weather. So, you know, the
7 environment on the Nelson River historically was
8 exposed to the hydrologic uncertainty. And if you
9 look at the response of levels of Lake Winnipeg,
10 they are very similar to what has occurred
11 historically, and the flows down the Nelson River
12 are very similar to what has occurred
13 historically. You know, we haven't taken a river
14 that was running at a uniform flow and turned it
15 into one that goes up and down at the will of
16 Manitoba Hydro.

17 Mr. Gawne has been quite, purposefully
18 has been quite, made the point that the main
19 driver of releases out of Lake Winnipeg are the
20 inflows. Inflows go up and down reflecting the
21 variability of the water supply. And it did that
22 historically, it still does that now. We do not
23 have the ability with the storage in Lake Winnipeg
24 to really have a significant effect on the
25 uncertainty and the environment. There have been

1 impacts associated with flooding downstream, but
2 with regard to the lake, the lake essentially is
3 going up and down like it has historically.

4 THE CHAIRMAN: Mr. Williams, I note
5 that your water supply is getting low and I think
6 it might be time to take a morning break. So
7 would this be an appropriate time?

8 MR. WILLIAMS: With the panel's
9 permission, just in this area, I have maybe --
10 actually, it's always an appropriate time, if the
11 panel is asking it's an appropriate time. I have
12 about 10 minutes, but in this particular area, but
13 I think it's probably a good time.

14 THE CHAIRMAN: Okay. We'll take a
15 break, we'll come back at 11:15.

16 (Proceedings recessed at 11:00 a.m.
17 and reconvened at 11:15 a.m.)

18 THE CHAIRMAN: Okay. It's time to get
19 back to work. Mr. Williams.

20 MR. WILLIAMS: Thank you.

21 Mr. Gawne, just to finish off the
22 thought from before the break, as part of the
23 HERMES decision support system, does Manitoba
24 Hydro regularly model time flow releases to
25 improve the health of fish populations?

1 MR. GAWNE: No, we do not.

2 MR. WILLIAMS: And similarly, sir, I'd
3 be correct in suggesting to you that as part of
4 the HERMES decision support system, Hydro does not
5 regularly model time flow releases to enhance
6 water quality objectives?

7 MR. GAWNE: That's correct, yes.

8 MR. WILLIAMS: Perhaps if Mr. Penner
9 will indulge me, back to page 38 for a second?

10 To the entire Hydro panel, is Hydro
11 aware of any hydroelectric reservoir and
12 generating station operations where the operating
13 objectives expressly include restoring downstream
14 resources and maintaining hydropower capability
15 and flexibility?

16 MR. SWANSON: I'm not aware of any
17 specifics, I'm aware of the concept, as I have
18 said before, that in other jurisdictions I
19 understand it's been considered. As part of it, I
20 couldn't tell you which specific facilities.

21 MR. WILLIAMS: Thank you. Just to
22 finish that thought, and if Hydro is not familiar,
23 that's fine. Would Hydro be familiar with the
24 1996 record of decision of operations on the Glen
25 Canyon dam?

1 THE CHAIRMAN: Where is Glen Canyon?

2 MR. WILLIAMS: Glen Canyon would be in
3 Colorado.

4 MR. SWANSON: I'm not.

5 MR. GAWNE: I'm not specifically
6 familiar.

7 MR. WILLIAMS: And I don't need to
8 hear from the whole panel. If someone is
9 familiar, you can speak up, otherwise I will move
10 on.

11 Mr. Gawne, you spoke of the Bonneville
12 Power Authority and how they build into their
13 operational models simulations relating to the
14 protection of fish habitat. Did I have that
15 correct, sir?

16 MR. GAWNE: That's my understanding.
17 There is constraints, I believe, that are defined
18 to the benefit of fish, fisheries, and they
19 include that in their modeling, as I understand
20 it.

21 MR. WILLIAMS: And if you can't go
22 this far, sir, you'll just let me know, but would
23 it indeed be a condition of their licence that
24 there should be expressed conditions for the
25 protection, mitigation of damage, and enhancement

1 of fish and wildlife? And if you can't answer
2 that --

3 MR. GAWNE: Yeah, I'm sorry, I can't
4 confirm that.

5 MR. WILLIAMS: What you can answer, I
6 suspect, is in terms of your licensing
7 constraints, it's fair to say that your licence
8 parameters do not impose expressed conditions for
9 the protection and enhancement of fish and
10 wildlife. That would be fair?

11 MR. GAWNE: We do have licences on our
12 system that, I believe, based on Environmental
13 Act, the authority of that Act, for instance, the
14 licence at Missi Falls or the Wuskwatim licence
15 would have considered, you know, those are in
16 place for that reason, and others. The Lake
17 Winnipeg Regulation licence or interim Water Power
18 Act licence does not include provisions for that.
19 However, I believe the minimum flow constraint of
20 25,000 cubic feet per second, although I don't
21 have the specific background on their reason for
22 that constraint, but I would suspect it's
23 partially to assist in the health of water bodies
24 downstream of Lake Winnipeg.

25 MR. WILLIAMS: And I thank you for the

1 answer. And just so I can be clear, you are
2 advising me that certain of Hydro's operations
3 such as Missi Falls and Wuskwatim might have the
4 type of conditions I was speaking of, but that
5 Lake Winnipeg Regulation does not have an
6 expressed condition to that effect. Would that be
7 fair? That's what you said, Mr. Gawne?

8 MR. GAWNE: Yes, that's correct.
9 There's not an expressed condition in the interim
10 licence for that.

11 MR. CORMIE: Mr. Williams, if you
12 remember the presentation that Mr. Gawne gave, he
13 talked about the Cross Lake weir and how, after
14 the project was put in operation in 1976, there
15 were immediate and severe impacts to Cross Lake
16 under low flow conditions. And many of the
17 concerns with that had to do with the effects on
18 fish. So Manitoba Hydro, in working with the
19 Cross Lake community, came up with the design of
20 the weir to mitigate those, to solve those
21 problems. And so the habitat for fish was
22 restored.

23 And so to the extent that there needed
24 to be additional rules associated with that, none
25 were identified that couldn't be done through that

1 mitigation project. And so there doesn't need to
2 be additional constraints on our operation,
3 because we have dealt with that, we have dealt
4 with that issue through remedial works. And
5 that's generally what we have done in all our
6 projects, identify the impacts and try and
7 mitigate them, compensate them with a variety of
8 replacement resources. And our compensation
9 agreements and all our settlement agreements with
10 the communities have looked at those things. And
11 we have, in consultation with them, come to an
12 agreement on how the power system should be up and
13 what the water regime should be. And to the
14 extent that they are impacts, they had been
15 settled under those comprehensive agreements.

16 Under the NFA, Cross Lake and Manitoba
17 Hydro are still working under that agreement to
18 deal with the adverse impacts of the project,
19 whether they are fish or whether they are
20 socio-economic, but that mechanism is there.

21 So Manitoba Hydro is fully responsible
22 for dealing with those, unlike these other
23 entities like at the Glen Canyon dam where those
24 external costs weren't borne by those utilities,
25 those trade-offs were made under the licensing

1 process, where in this case Manitoba Hydro is
2 obligated under agreement to work to remedy those
3 situations. And so our situation in Manitoba is
4 quite different than in these other regimes, where
5 Manitoba Hydro and its customers are bearing the
6 full cost of resolving these issues.

7 MR. WILLIAMS: And I thank you for
8 that thoughtful answer. And without meaning to be
9 argumentative, or at least not too argumentative,
10 you'll concede that one can see an analytic
11 difference between Bonneville Power, for example,
12 where expressly built into their licensing and
13 into their modeling is the need to anticipate and
14 forecast what are the consequences of flows versus
15 the discretionary choices of Manitoba Hydro. Can
16 we agree on that, Mr. Cormie?

17 MR. CORMIE: I agree that there are
18 different regimes, that the objectives are
19 achieved differently in Manitoba through the
20 Environment Act and through the Water Power Act,
21 and those are dealt with as constraints. We are
22 not trading those things off. We are regulated
23 and we have a responsibility under the laws in
24 Manitoba to do what we can to protect those
25 interests. And that's what we do. We don't do

1 more.

2 MR. WILLIAMS: Again, without being
3 argumentative, in your last answer you were not
4 meaning to suggest that Lake Winnipeg Regulation
5 is regulated under the Environment Act currently,
6 were you, sir?

7 MR. CORMIE: No, I wasn't.

8 MR. WILLIAMS: Hopefully the panel
9 does have the CAC Manitoba supporting material,
10 which subject to correction by Ms. Johnson, I
11 believe is CAC Exhibit 1.

12 And, Mr. Hutchison, I want to direct
13 your attention for a moment to page 3.
14 Mr. Hutchison, you had an opportunity to review
15 the evidence that Dr. Goldsborough filed in this
16 proceeding?

17 MR. HUTCHISON: I did look at it, yes.

18 MR. WILLIAMS: And we have presented
19 what we purport is an excerpt from his document.
20 That's a statement that you are familiar with from
21 your review of Dr. Goldsborough's evidence, sir?

22 MR. HUTCHISON: I don't recognize it
23 exactly, but it is consistent with his previous
24 assertions on the marsh.

25 MR. WILLIAMS: And, sir, my question

1 is fairly simple, I hope. Does Manitoba Hydro
2 accept the observations of local residents and Dr.
3 Goldsborough that the biological character of the
4 Netley-Libau Marsh has changed radically over the
5 past three decades?

6 MR. HUTCHISON: My understanding is
7 that the marsh has changed radically over the past
8 80 years.

9 MR. WILLIAMS: That's fine, sir, but
10 there's been an assertion put on the record by Dr.
11 Goldsborough in his evidence that it's changed
12 radically over the last 30 years. And my question
13 is, does Manitoba Hydro accept that premise?

14 MR. HUTCHISON: We accept the premise
15 to the degree that the study, the time frame that
16 they looked at happened to be 1979 up to a few
17 years ago. So their research time did not include
18 much to do with the previous time, because there
19 wasn't a lot of information available. I think
20 the most they had to go by were air photos from
21 the 1920s, which they compared to later on, which
22 did show emergent vegetation like bulrush and
23 cattail had decreased significantly, and open
24 water, and the marsh extended towards more open
25 water areas.

1 MR. WILLIAMS: Thank you. And,
2 Mr. Penner, if I could just ask you to flip, if
3 you don't mind, back to Hydro's submission from
4 Tuesday, and page 49?

5 And this question I think can probably
6 go to Mr. Cormie and Mr. Gawne. And first of all,
7 without asking you to elaborate, and then we'll
8 give you a chance to elaborate in a second. Hydro
9 has expressed its concern that lowering the lake
10 to revitalize Netley-Libau Marsh, as Dr.
11 Goldsborough has suggested, would raise material
12 reliability concerns. Fair enough?

13 MR. GAWNE: Yes, that's true.

14 MR. WILLIAMS: And Mr. Gawne,
15 sometimes it may be me as well, I think you and I
16 have moved away from the mic a little bit, so
17 sometimes your voice may be trailing away, as may
18 mine.

19 I just want to be clear about Manitoba
20 Hydro's position moving forward. And Mr. Cormie,
21 you spoke on Tuesday about achieving a new
22 balance, as we look to a renewal or relicensing of
23 Lake Winnipeg Regulation. Do you recall a
24 statement to that effect, sir?

25 MR. CORMIE: Yes, I did.

1 MR. WILLIAMS: In the context of a new
2 forward-looking evaluation of the operating regime
3 for Lake Winnipeg Regulation, would it be accurate
4 to suggest that Manitoba Hydro would be open to an
5 informed debate based on evidence on the merits
6 and risks associated with the proposal such as Dr.
7 Goldsborough's?

8 MR. CORMIE: Yes, but my concern is
9 this is an issue of public policy and government
10 policy. And to the extent that the government
11 chose to reopen the issue of the licence range as
12 part of the renewal process, Manitoba Hydro would
13 participate in that.

14 The original licence was driven by two
15 factors. In subsequent studies in the early '70s,
16 as I mentioned in my opening remarks, that
17 considered the effects of a four foot range for
18 power between 711 and 715, considering
19 agriculture, recreation, navigation, wildlife and
20 fisheries all confirmed that that was the best
21 location with that storage between that four foot
22 range, those were the values at that time. So it
23 seems appropriate, as we think about a renewal
24 licence, that confirmation takes place, the value
25 of the Lake Winnipeg resource, including, you

1 know, modern values that may not have been
2 anticipated at that time be considered. And to
3 the extent that that issue is raised as part of
4 the relicensing process, we will participate in
5 that. But, again, we do not yet have guidelines
6 from government on whether that will be a
7 requirement for renewal licence. The Water Power
8 Act just requires us to apply. It doesn't say to
9 Manitoba Hydro what is needed in order to apply.
10 And I think we would like to have long lead times
11 so that we can prepare for that application. And
12 then to the extent that that balance between
13 interests is an issue, that there's been lots of
14 time to consider that.

15 Our concern with regard to reliability
16 is, if the value of Lake Winnipeg as a Hydro
17 project is diminished, that we have adequate time
18 to maintain reliability by adjusting our other
19 development plans. And you are aware how long it
20 takes for us to go through that process, from
21 consultation and regulation and studies to
22 supplying a replacement supply of power in order
23 to maintain reliability.

24 And so I think that Hydro believes
25 that today is a good time to start thinking about

1 what the implications of a renewal licence to
2 Manitoba Hydro in 2026 would be. And in 10 years
3 or 12 years, I think 11 years from now, in terms
4 of resource development and Hydro development,
5 that's not too soon to start challenging ourselves
6 on what the licence might look like under the
7 renewal process.

8 And so issues like the Netley-Libau
9 Marsh, is that something that the project needs to
10 address or not? Clearly it should be on the
11 table.

12 MR. WILLIAMS: Thank you, I'm sure my
13 client appreciates the thoughtfulness of that
14 answer as well.

15 Just speaking, leaving aside the
16 reliability related to Netley Marsh in the
17 short-term, just in doing planning, longer term
18 planning for Manitoba Hydro, as part of its
19 planning process Hydro will consider sources of
20 energy both from the hydroelectric system, as well
21 as other sources such as imports, new renewables
22 and natural gas generation. Would that be fair?

23 MR. CORMIE: I believe all those
24 options are on the table, yes.

25 MR. WILLIAMS: And as we look a little

1 bit farther down the pipeline, you'll agree that
2 one consequence of the decision to enter into a
3 new arrangement with Minnesota Power is a new tie
4 line, which we expect to come online subject to
5 regulatory approval on or about the 2020/21 year.
6 Would that be fair?

7 MR. CORMIE: That's the schedule, yes.

8 MR. WILLIAMS: And again, assuming
9 regulatory approval, Hydro estimates that coming
10 online in that year will be about 1600 gigawatt
11 hours of new import capacity. Would that be about
12 right, sir, subject to check?

13 MR. CORMIE: Your memory on the 1600
14 is maybe better than mine. But it is significant,
15 it doubles the import capability for the United
16 States, so it is a significant addition to our
17 dependable supply.

18 MR. WILLIAMS: And sir, if I have put
19 on the record a wrong number than the 1600
20 gigawatt hours, I'll leave it up to you to correct
21 it.

22 MR. CORMIE: Yeah, I don't think
23 anything significant is tied to whether that
24 number is right or wrong. It is a significant
25 value to Manitoba, and ultimately allows us to

1 defer the construction of generation as a result.
2 So it has offsetting benefits because it is a
3 dependable supply of energy.

4 MR. WILLIAMS: Okay. So I think
5 that's enough talk about the NFAT, sir.

6 MR. CORMIE: Thank you.

7 MR. WILLIAMS: I'm confident that
8 neither you or I want to revisit that experience
9 in the future.

10 THE CHAIRMAN: Nor do we.

11 MR. WILLIAMS: If we could turn, on
12 the CAC Manitoba supporting material, to page 4 to
13 start with?

14 And Mr. Penner, if you could pull down
15 the screen, it's the last three bullets in
16 particular that I want to bring to the attention
17 of the panel and Manitoba Hydro.

18 Mr. Gawne, you had an opportunity to
19 read the evidence of Mr. McMahon in terms of his
20 review of hydrologic and operational models.

21 MR. GAWNE: I did, yes.

22 MR. WILLIAMS: And you are aware that
23 in section 2.2 of his evidence, he identified what
24 he characterized as certain model limitations of
25 the models that he had reviewed of Manitoba Hydro?

1 You are aware of that, sir?

2 MR. GAWNE: Yes.

3 MR. WILLIAMS: And I want to draw your
4 attention to the last three bullets, and you will
5 see that Mr. McMahon is suggesting some
6 limitations in terms of the ability to analyze the
7 implications of climate change, as well as
8 operational and structural strategies that might
9 look at issues such as the protection, restoration
10 of Netley-Libau Marsh. So you see those
11 limitations that he's suggested? Do you see that,
12 sir?

13 MR. GAWNE: Yes, I do.

14 MR. WILLIAMS: And for the benefit of
15 my client, our client is wondering whether
16 Manitoba Hydro accepts that these are, those three
17 bullets in particular accurately reflect
18 limitations in the Hydro modeling?

19 MR. GAWNE: Those three bullets are,
20 if we look at the lead into those bullets,
21 Dr. McMahon is referring to the models that were
22 used to prepare appendix 10 and appendix 4 of the
23 LWR document. So those models were simple models
24 with specific purpose. They were not decision
25 support system models, or SPLASH, or HERMES, or

1 anything other than that. They were models
2 created to respond to specific questions. So I
3 would agree that those specific models would not
4 be ideally used to analyze these sorts of
5 scenarios that Mr. McMahon is suggesting be
6 analyzed.

7 MR. WILLIAMS: So to take that thought
8 one point further, going beyond the models used to
9 assist in the analysis for appendix 4 and appendix
10 10, is Hydro currently capable of addressing the
11 last three bullets flagged by Mr. McMahon?

12 MR. GAWNE: Manitoba Hydro is
13 certainly capable of modeling its system
14 operations. As you are aware, we do have detailed
15 models of the power system, reservoirs and lakes
16 and the like. So we do have the capability of
17 modeling different changes to the system, be it
18 structural or otherwise. However, that was not
19 the context of the studies in the LWR document.

20 MR. WILLIAMS: If we can go to page 5,
21 and before you scroll down you will see that these
22 are some of the long-term recommendations of
23 Mr. McMahon. Do you see that, Mr. Gawne?

24 MR. GAWNE: Yes, I do.

25 MR. WILLIAMS: Before we get to the

1 bullets, and I'll give you a chance to comment in
2 a second, but I'll just draw your attention to the
3 last sentence before the bullet where Mr. McMahon
4 is speaking of a requirement for new generation of
5 decision support tools. Do you see that
6 reference, Mr. Gawne?

7 MR. GAWNE: I do, yes.

8 MR. WILLIAMS: And then I'll ask
9 Mr. Penner to kindly flow us down to the last four
10 bullets.

11 Again, at a high level, you will see
12 that Mr. McMahon is suggesting a need for a new
13 generation of decision support tools to look at
14 issues as related to Netley-Libau Marsh, Cross
15 Lake levels, Nelson River flow regimes, including
16 environmental water quality objectives. Do you
17 see that reference, Mr. Gawne?

18 MR. GAWNE: Yes, I do.

19 MR. WILLIAMS: And so my client's
20 question to you, sir, is to try and understand,
21 does Hydro currently have this modeling capability
22 and it was just not examined by Mr. McMahon, or
23 does it accept his premise that a new generation
24 of decision support tools is required?

25 MR. GAWNE: Sorry, can you please tell

1 me again which bullet specifically you are
2 referring to?

3 MR. WILLIAMS: I was referring to the
4 last four bullets, sir.

5 MR. GAWNE: The last four bullets?
6 Okay. So the first of the last four bullets,
7 analysis of effects of operational alternatives on
8 wetlands, certain Manitoba Hydro models are
9 capable of modeling the effect of our operations
10 on the average wind-eliminated level of Lake
11 Winnipeg. We do not have decision support models
12 to model the other factors impacting Netley-Libau
13 Marsh, such as the cut and other factors from the
14 lack of judging against the mouth of the Red
15 River. That would be, I think, some sort of local
16 detailed model of that marsh area, that's not
17 incorporated within our current decision support
18 systems.

19 In terms of testing and evaluation,
20 now on the third last bullet, testing and
21 evaluation of operational and structural
22 alternatives to better control Cross Lake levels
23 and flow regime. Certainly our models incorporate
24 the operation of Lake Winnipeg Regulation and
25 Jenpeg, and the east channel out of Lake Winnipeg

1 and Cross Lake itself. So I think our decision
2 support models are there for that.

3 Testing the evaluation of operational
4 and structural alternatives for shoreline
5 management, we do not have shoreline erosion
6 parameters in these decision support models. As
7 we have said, we model the water level on Lake
8 Winnipeg, and effects such as wind and wind-driven
9 waves and energy on shoreline is not a part of
10 decision support modeling.

11 And lastly, analysis of operational
12 alternatives using climate change adjusted stream
13 flow, certainly if we are provided with other
14 stream flow scenarios, then we absolutely have the
15 modeling capability to do that. And I think you
16 saw some of that work in the NFAT studies that
17 were done where our development plan was tested
18 against climate change scenarios. Our modeling
19 was used to arrive at those results.

20 MR. CORMIE: Mr. Williams, I wanted
21 just to jump in because I'm not sure it's clear to
22 everyone that Manitoba Hydro has many models. We
23 do not use Mr. Gawne's suite of models, that are
24 designed for making decisions on what the release
25 of Lake Winnipeg should be tomorrow, for the

1 purposes of generation planning. We have other
2 models, you are familiar with the SPLASH model.
3 We do not use Mr. Gawne's suite of models for our
4 climate change modeling. Mr. Slota has a whole
5 set of climate change models. And so as we're
6 talking planning the future of the water system,
7 it's clear to me that we will not be using our
8 operational models as part of that. We will use
9 appropriate state of the art models, whether they
10 are climate change, whether they are other models
11 that are available in the industry to study these
12 things. So I want to make sure that we are
13 separating the operational models that are
14 designed to say today this is the set of
15 conditions, what do we do, from long-term planning
16 models which are different. And they are as
17 different as you can imagine.

18 And to the extent that we need those
19 resources in order to study these issues, we will
20 acquire them, or we will have the expertise
21 in-house to do those studies. But I don't think
22 we should think that Mr. Gawne will be coming up
23 with this answer. This is a planning function,
24 and we have a whole division of planners who have
25 all their own models that are as complex as you

1 can imagine for looking out 10, 20, 50 years, 100
2 years, and that's quite a different time frame
3 than what the operational models were using to
4 decide what we should be doing today with regard
5 to releases.

6 MR. GAWNE: Yes. Thank you,
7 Mr. Cormie, for that clarification. And just to
8 confirm, when I was responding about models, I was
9 talking about the power system models, be that
10 SPLASH or other long-term planning models from
11 Manitoba Hydro perspective, not necessarily
12 operations.

13 MR. CORMIE: I think Mr. McMahon's
14 exposure to Manitoba Hydro's models was just
15 associated with the operational. I don't think we
16 gave him any exposure to all the other
17 capabilities that the company had. So you know
18 clearly, these are issues that need to be
19 addressed. But to judge our ability to address
20 them based on his discussions with Mr. Gawne, I
21 don't think he was exposed to all the capabilities
22 of the company.

23 MR. WILLIAMS: And obviously the
24 purpose is for our client to understand what you
25 got and what you need. Let me just back up for a

1 second. And in terms of Mr. Gawne, in terms of
2 responding to the bottom four bullets, you were
3 speaking in terms of the corporation's
4 capabilities from an overall perspective, not just
5 from, you weren't specifically just addressing
6 HERMES; is that correct?

7 MR. GAWNE: That's correct.

8 MR. WILLIAMS: Okay. And so directing
9 your attention to the second last bullet as an
10 example, the one where you, in your view, where
11 the corporation currently did not have the
12 capacity to address some of the questions related
13 to the operational and structural alternatives for
14 shoreline management improvements to the Nelson
15 River flow regime. That's what you indicated
16 previously, sir?

17 MR. GAWNE: What I indicated was that
18 our decision support models currently don't have a
19 provision for modeling shoreline erosion which is
20 what I believe this shoreline management and
21 shoreline erosion and improvements to deal with
22 shoreline erosion. I believe bullet addresses
23 that. Certainly overall water regime is a product
24 of our modeling.

25 MR. WILLIAMS: And to the extent that,

1 and without being pejorative, to the extent that
2 there is a need within Manitoba Hydro to allow its
3 capabilities to evolve, is that an 18 month issue,
4 a two year issue, Mr. Cormie?

5 MR. CORMIE: Well, I think the Keeyask
6 project was a demonstration of our ability to
7 apply technology to address these issues. And we
8 did modeling on erosion in the Keeyask project, we
9 did a complex water modeling including climate
10 change modeling. That capability exists in the
11 company. We had done that for new projects.
12 There is no reason why we can't use that same
13 technology and apply it to Lake Winnipeg
14 Regulation if that issue comes up.

15 I'm just making the point that we
16 never exposed Mr. McMahon to all that capability.
17 And I'm not sure how familiar he was with the
18 modeling that the company was able to do and its
19 consultants to deal with these issues. And so
20 these are all great areas that could be addressed.

21 I don't think we should be asking Mr.
22 Gawne to address those issues with his operational
23 models. His focus is what am I doing now and what
24 am I going to do over the next year, and not
25 thinking about whether the shoreline is going to

1 erode as a result of changing operational
2 policies. Those will be dealt with by others.
3 And Manitoba Hydro will have the capability to
4 deal with those issues. We have it now. And to
5 the extent that we know what's required, we will
6 put our minds to it and have the best possible
7 answers.

8 MR. WILLIAMS: And I have your point,
9 Mr. Cormie, and I just want to get to kind of
10 finish up my point. This is not going to take
11 five years for Manitoba Hydro to have its
12 capabilities to the extent that they need to be
13 enhanced. That can be turned around in a
14 relatively shorter time frame.

15 MR. CORMIE: Well, yes. Mr. Williams,
16 we don't know what the question is yet. So it's
17 hard for me to say how long it will take. If we
18 knew what the problem was, then we would be able
19 to put our mind to giving you an estimate. But
20 there are no proposals to change the Lake Winnipeg
21 Regulation licence. There may be some
22 recommendations coming from the commission as a
23 result of this process. But until we have that
24 kind of direction, I can't tell you whether it's
25 going to take us six weeks or six years to do what

1 might be required. I think it's just premature to
2 give you that answer.

3 MR. WILLIAMS: Thank you. Mr. Chair,
4 just in terms of the time, I had originally about
5 35 pages of notes. I've got about 10 to go but
6 they are relatively quicker. So I'm at the --

7 THE CHAIRMAN: Our plan was to break
8 at 12:30 for lunch. That's about 35 minutes.

9 MR. WILLIAMS: Yes, that's fine.

10 THE CHAIRMAN: And if you don't
11 finish, we'll still be here after lunch.

12 MR. WILLIAMS: You'll still be here.

13 I don't have this reference for the
14 panel but, Mr. Cormie, I did share with you a
15 quote from the transcript on Tuesday in which you
16 stated from page 27 of the transcript, you stated:

17 "The requirement for ongoing renewal
18 of licences ensures ongoing review of
19 projects and that they continue to be
20 in the public interest."

21 Do you recall making that statement, sir?

22 MR. CORMIE: Yes, I did. And I said
23 that deliberately because there is many who view
24 Manitoba Hydro's request before government for a
25 final licence is a permanent licence. And we want

1 to make sure that it's clear that the licence have
2 a life and they need to be renewed. And I can't
3 imagine having a renewal process specified in the
4 Water Power Act and its regulations if they really
5 meant that the licence should be permanent and
6 should never be changed. So renewal implies to me
7 that renewal comes with review and review takes
8 place in the modern context.

9 And the world is not the same today as
10 it was in 1970. We have different values. We
11 know more. And renewal should take place in that
12 context, again for the public good.

13 MR. WILLIAMS: I was interested in
14 your use of the word "public interest." And I'm
15 not seeking a legal opinion. But in using that
16 term "public interest," were you referring to the
17 public interest tests set out in section 18 of the
18 regulation or did you have some other meaning,
19 sir?

20 MR. CORMIE: I wasn't referring to the
21 regulation, I was referring to it in the broadest
22 possible context as a Manitoban and Manitoba
23 Hydro's commitment to doing the right thing.

24 MR. WILLIAMS: And the point you were
25 making in the context of that general quote,

1 without meaning to belabour it, is that there has
2 been a material evolution in our values associated
3 with water and water power over the last 40 years.
4 Agreed?

5 MR. CORMIE: I agree with that, yes.

6 MR. WILLIAMS: And that as a society,
7 we are looking for a more robust balance between
8 economic, ecological and social issues. Would
9 that be fair, sir?

10 MR. CORMIE: I'm not sure whether the
11 word "more robust" is appropriate. I think the
12 review is important. You may come up with the
13 same conclusion. It still may be 711 but you have
14 done the work necessary to make sure that that
15 conclusion was drawn based upon today's values.
16 It may result in a change. But it is important
17 that we go through that process.

18 MR. WILLIAMS: And just going back to
19 climate change for a moment. Would it be fair to
20 say that in addition to the change in values,
21 today we have a much greater understanding of the
22 influences of human activity upon climate. Would
23 that be fair, sir?

24 MR. CORMIE: Yes, I agree with that.

25 MR. WILLIAMS: And while we have a

1 less than perfect understanding of the influences
2 of climate change on precipitation and temperature
3 within our specific area, there is no doubt that
4 it is likely to be significant. Agreed?

5 MR. CORMIE: The conclusion that you
6 are making that there could be significant changes
7 to what, to the regulation of Lake Winnipeg? Or
8 what are you referring to when you mention the
9 word "significant"? It is a significant issue.
10 What are the implications for Lake Winnipeg
11 Regulation? I don't know if they are significant
12 yet. I don't think we're at that point. The
13 project may be fully capable of managing the
14 changes that occur in the watershed as a result of
15 that, but I don't know that. I can't draw that
16 conclusion that you have suggested.

17 MR. WILLIAMS: And it wasn't a very
18 good question so I thank you for dissecting it.
19 Let me try again. It would be fair to say that
20 looking to the medium and longer term, that
21 climate change coupled with watershed development
22 change have the potential to alter inflows to Lake
23 Winnipeg. Agreed?

24 MR. CORMIE: Yes. And we see that as,
25 you know, as more land drainage occurs, more

1 diversion channels are built, the pressures on
2 Lake Winnipeg are increasing. Climate change to
3 the extent that it adds to that, it will affect
4 the lake.

5 MR. WILLIAMS: And without prejudging
6 the outcomes with changes to inflow, we can
7 anticipate the potential for habitat alteration
8 and flood potential. Agreed?

9 MR. CORMIE: That potential is there.
10 I don't believe we understand yet the effect of
11 climate change on extremes. So I don't know if I
12 can say that the flood potential is getting any
13 worse. It's pretty bad already because you have
14 seen from the record how extreme the prairie
15 climate already is. Will climate change make the
16 extremes even worse? I don't think we have come
17 to that conclusion.

18 MR. WILLIAMS: And that uncertainty,
19 sir, suggests the need to be particularly alive to
20 the requirement for robust adaptive management in
21 the face of uncertainty. Agreed?

22 MR. CORMIE: I agree that we have to
23 adapt as time goes on, yes.

24 MR. WILLIAMS: Mr. Penner, if you
25 would, if we can turn to page 187 of Manitoba

1 Hydro's filing from Tuesday. And Mr. Cormie,
2 before directing your attention to that page, you
3 said both on Tuesday and yesterday and today, you
4 spoke of the need to strike a modern balance
5 between upstream and downstream and to benefit all
6 Manitobans. Agreed?

7 MR. CORMIE: Yes.

8 MR. WILLIAMS: Now on page 187 in the
9 powerpoint, Hydro suggests that the original
10 licence decision balanced competing interests. Do
11 you see that suggestion, Mr. Cormie?

12 MR. CORMIE: Yes.

13 MR. WILLIAMS: And just so our client
14 understands the implications of that statement, is
15 Hydro suggesting that there was an equitable
16 balancing of interest in the original licensing
17 decision between downstream users, upstream users
18 and rate payers?

19 MR. CORMIE: I can't speak to the
20 issue of equity. The decision was made and it is
21 what it is. I'm not in a position to judge that.

22 MR. WILLIAMS: So Manitoba Hydro in
23 that statement was not offering a judgment on
24 whether it equitably balanced those interests?

25 MR. CORMIE: That's correct, yes.

1 MR. WILLIAMS: But given your
2 observation by Hydro that there were significant
3 downstream effects, would Manitoba Hydro be aware
4 of a potential concern that in confirming a final
5 licence out to 2026, we would in effect be
6 confirming an inequitable relationship between the
7 downstream, the upstream and the rest of the
8 province?

9 MR. CORMIE: Again, I can't speak to
10 the issue of equity. All I can speak to is that
11 there have been impacts and adverse effects. And
12 we have worked with as many of the affected
13 communities that we know of to address those
14 effects and settle with those communities around
15 those effects. And the settlement agreements are
16 signed by two parties. Manitoba Hydro sits at the
17 table and we negotiate and we find something that
18 will work for both of us. And they are
19 settlements.

20 So, you know, there may be still
21 issues that haven't been resolved and we're still
22 working on those, we are committed to working on
23 those. But it's not that these issues have come
24 along and Manitoba Hydro said you know what, that
25 decision was made and we are not going to deal

1 with them. We have been dealing with them. And
2 Mr. Sweeny has been negotiating these agreements.
3 I believe that there's somewhere around a hundred
4 of them with all the stakeholders to settle for
5 those effects.

6 Now was the initial decision
7 equitable? I don't know. But I know that we have
8 been living with that decision and trying to
9 compensate, mitigate, adapt to that situation.

10 MR. WILLIAMS: Okay. Thank you.

11 Mr. Penner, if you don't mind turning up from the
12 CAC supporting materials page 6.

13 Mr. Cormie, in your evidence on
14 Tuesday, you answered the question why has it
15 taken 40 years or something to that effect. Do
16 you recall that discussion?

17 MR. CORMIE: Yes, I do.

18 MR. WILLIAMS: In terms of the
19 implication of confirming the interim licence, am
20 I correct in suggesting to you that under
21 Wisconsin legislation, for Manitoba Hydro to meet
22 the renewable test, one element is the written
23 confirmation from the province that the interim
24 licences, in terms of LWR and Churchill River
25 Diversion, had been replaced by final licences?

1 Is that your understanding, sir?

2 MR. CORMIE: The Wisconsin legislation
3 Act 34 only allows a Wisconsin utility to count a
4 power purchase from Manitoba Hydro as renewable
5 once the Lake Winnipeg and Churchill River
6 Diversion final licences had been issued.

7 MR. WILLIAMS: Thank you. Just a
8 couple of short snappers in terms of clarifying
9 the record. And perhaps, Mr. Penner, if we can go
10 to page 7 of this same document.

11 And, Mr. Cormie, you'll agree with me,
12 subject to check, that I am providing you with a
13 citation from the Institute for Sustainable
14 Development suggesting that the cost of a five
15 year drought in 2007 was calculated to be between
16 2.2 billion and \$3.5 billion in Canadian dollars?

17 MR. CORMIE: I accept that, yes.

18 MR. WILLIAMS: And if we just turn to
19 page 8 of this same document, sir.

20 Thank you, Mr. Penner.

21 Without in any way trying to be making
22 any conclusions, but since 2007, things have
23 changed including the prices that Manitoba Hydro
24 gets in the export revenue market, sir. Would
25 that be fair?

1 MR. CORMIE: Yes. Each year the
2 utility does its IFF and one of the sensitivities
3 we check on is what would the cost of drought be?
4 It's a risk that the company faces. Drought can
5 start at any time. And that cost will change over
6 time. Conditions in 2003 are different than they
7 were when this estimate, and they are different
8 today. So each year we update that number. So it
9 goes up and down, depending upon the situation.

10 MR. WILLIAMS: And if we were to big
11 picture the conclusions or the calculations from a
12 five to seven year drought as provided in the most
13 recent Hydro rate application, the range would be
14 between 1.7 billion for a five year drought up to
15 about 2.1 billion for a seven year drought. Would
16 that be fair?

17 MR. CORMIE: Yes, I agree with that.

18 MR. WILLIAMS: Mr. Cormie, you'll
19 recall your extensive discussion with Mr. Shefman
20 yesterday about the role that Aboriginal
21 traditional knowledge plays in new developments as
22 compared to the role that it may play in existing
23 projects such as Lake Winnipeg Regulation?

24 MR. CORMIE: I remember that, yes.

25 MR. WILLIAMS: And certainly in the

1 context of new development, Mr. Cormie, you agreed
2 with the importance that ATK had played in
3 Manitoba Hydro's deliberations in terms of scoping
4 the environmental assessment, modifying design of
5 the project and also in ongoing adaptive
6 management. Agreed?

7 MR. CORMIE: Agreed.

8 MR. WILLIAMS: And it would be fair to
9 say that in the context of new developments,
10 Manitoba Hydro would take the position that
11 western science and ATK are deserving of equal
12 consideration and weight. Would that be fair?

13 MR. CORMIE: I think they are both
14 valuable inputs into the decision, yes.

15 MR. WILLIAMS: And the corporation in
16 the context of new developments would also be of
17 the view that it would be important to make
18 efforts to reconcile differences if they existed
19 between western science and ATK. Would that be
20 fair?

21 MR. CORMIE: You know, I'm not that
22 familiar with that part of it, but I'll accept it
23 as reasonable.

24 MR. WILLIAMS: And if you feel
25 uncomfortable, Mr. Cormie, or more uncomfortable,

1 you'll let me know.

2 MR. CORMIE: You're speaking to an
3 engineer, Mr. Williams. I'm way out of my depth
4 already, so.

5 MR. WILLIAMS: Well there's others on
6 your panel, and so this can go to the whole panel.
7 The corporation would accept that ATK is
8 particularly critical in the face of western
9 scientific uncertainty. Agreed?

10 MR. SWANSON: I think that ATK is
11 understood, as Mr. Cormie said, as a valuable
12 input to the process, that it's part of the
13 picture. And probably especially important in
14 terms of beginning to understand western science
15 perhaps. They play a role in supporting,
16 confirming ATK perspectives as a scientific
17 method.

18 MR. WILLIAMS: And as we look to
19 issues of monitoring, assessing and mitigating the
20 effects, if any, of Lake Winnipeg development,
21 both upstream and downstream, the corporation
22 would no doubt agree, moving forward, that it is
23 especially critical to seek guidance from ATK.
24 Would that be fair?

25 MR. SWANSON: As I previously stated,

1 we understand that it's a valuable contribution,
2 and so agree that it's important information to
3 have.

4 MR. HUTCHISON: I think we might also
5 add that although we recognize there are
6 differences, it hasn't always been possible to
7 reconcile these differences.

8 MR. WILLIAMS: Would you go one step
9 further that in the event there is uncertainty in
10 western science, it is particularly important to
11 seek the insight of ATK?

12 MR. CORMIE: Mr. Williams, in any
13 relationship, respect is of great importance. And
14 in values of communities that we may not
15 appreciate, but they are values, and they are
16 heartfelt and they are important, out of respect
17 we would want to accept that as being a value and
18 not making a judgment whether it's a good value or
19 not. And so I think our attitude to, our dealings
20 with Aboriginal communities is those values are
21 important. And out of respect for Aboriginal
22 people, they are what they are. And they should
23 be part of the process. And not trying to
24 reconcile the difference, we don't necessarily
25 have to reconcile, we just have to know that those

1 are values and should be part of the
2 decision-making.

3 MR. SWEENEY: If I can just add.

4 MR. WILLIAMS: Yes, please.

5 MR. SWEENEY: As far as Aboriginal
6 knowledge being involved in the process, my
7 understanding is the information provided by the
8 Aboriginal peoples that had been affected
9 downstream can be seen in the various
10 environmental studies that have taken place since
11 the early 1970s and into the '80s with various
12 communities, with various community organizations,
13 with elders that have participated during those
14 sessions, with trapping associations. All this
15 input that comes into Manitoba Hydro either leads
16 to mitigation measures, leads to programs, leads
17 to agreements. So this is a big part of what
18 comes in over the years working with Aboriginal
19 peoples.

20 So I just wanted to add that piece as
21 well. So what comes from this is looking at ways
22 you can avoid it with information coming in but
23 also looking at ways you can have additional
24 measures to deal with the various adverse effects
25 that pertain to LWR.

1 So in the various forms of our
2 agreements over the years that we have with the
3 various first nation groups that have been
4 impacted, that have put their input into some of
5 the impacts are incorporated in the various
6 processes that are developed from these
7 agreements.

8 In addition to the agreements, we get
9 into programming. Some of the programming that's
10 developed to address the effects, the LWR adverse
11 effects downstream are the very programs with the
12 input we received from the various discussions.
13 And these discussions could go on, they could go
14 on for years. And the input received. And they
15 end sometimes with an agreement but they also end
16 with the various programs we have in place such as
17 our various debris programs, our safe ice trail
18 programs. Those are ways that the input received
19 from the very people that are impacted, they are
20 incorporated into these programs. They are
21 incorporated into our agreements. And they are
22 incorporated into the various assessments, the
23 environmental assessments that have been done over
24 the years. That's Aboriginal input into the
25 process.

1 MR. WILLIAMS: Mr. Sweeny, I thank you
2 for that. And just to confirm, your answers were
3 confined to downstream of the LWR?

4 MR. SWEENEY: That's correct, yeah.

5 MR. WILLIAMS: And just to finish up,
6 Mr. Cormie, going back to you, and I think we just
7 have a semantic deference here. In our discussion
8 of Aboriginal traditional knowledge, you spoke of
9 respect and values. But the corporation would
10 concede, it's also a different knowledge source as
11 well derived from a rich cultural and interactive
12 understanding with the environment.

13 MR. CORMIE: Yes, I agree to that.

14 MR. WILLIAMS: Mr. Chair, this may be
15 a record in the sense that I was going to tell you
16 it was going to take me till 12:30 and I think I
17 might have actually beat that by perhaps only a
18 minute, but I'm pretty proud of my first time ever
19 coming in under budget.

20 THE CHAIRMAN: We will confirm, that
21 is the first time in our experience anyway, and we
22 welcome that in future. We'll hold you to these
23 standards in the future. Thank you very much,
24 Mr. Williams.

25 MR. WILLIAMS: And thank you to

1 Mr. Penner. It wasn't required but it was much
2 appreciated.

3 THE CHAIRMAN: You are actually about
4 10 or 11 minutes ahead of your schedule.

5 So I suspect that Pimicikamak will
6 have more than 10 minutes worth of questions so
7 we'll hold off until after lunch. So we'll break
8 now and come back at 1:30.

9

10 (Proceedings recessed at 12:19 p.m.
11 and reconvened at 1:30 p.m.)

12 THE CHAIRMAN: Okay, good afternoon.
13 We'll resume cross-examination of Manitoba Hydro.
14 Up now is Pimicikamak.

15 Please introduce yourself for the
16 record and then proceed.

17 MR. RAINING BIRD: Hi, I am Jeremiah
18 Raining Bird for Pimicikamak. I think I've
19 figured out -- okay. So you will have to forgive
20 me if I'm not as eloquent as Mr. Williams, but...

21 THE CHAIRMAN: Nobody is.

22 MR. RAINING BIRD: I have been in
23 Toronto for a few years.

24 If we can just put the slide on page
25 39, slide 39.

1 Now, this diagram recognizes that in
2 operational decisions, there is a balancing that
3 needs to be done between supply and demand, with
4 consideration given to a number of externalities
5 as represented by those, the safety, reliability
6 and everything at the top; is that correct?

7 MR. GAWNE: That's correct.

8 MR. RAINING BIRD: And in considering
9 those externalities, there is no specific
10 guidelines or objectives for any of the five, or
11 four listed there, five listed; is that correct?

12 MR. GAWNE: Sorry, for any of the four
13 listed?

14 MR. RAINING BIRD: For the
15 externalities listed there, there is no specific
16 guidelines that are implemented in coming to an
17 operational decision when considering those
18 externalities.

19 MR. GAWNE: Well, with respect to
20 safety, I don't think that -- safety is our top
21 priority within the company, so that guideline per
22 se governs. And reliability, we do have, in terms
23 of energy operations planning, we do have
24 criteria. Mr. Williams earlier introduced our
25 planning criteria and how we plan our system, but

1 we also have criteria in our operations to ensure
2 that we are planning the energy, the operation of
3 the system reliably in terms of energy
4 reliability.

5 Specific criteria on social and
6 environmental constraints beyond our existing
7 licence, no, I don't think that we have specific
8 criteria on those.

9 MR. RAINING BIRD: Okay, thank you. I
10 should have been more clear those were the two
11 that I was interested in.

12 And so what would follow then from
13 that is that there is no specific criteria
14 involved, or specific goals for the preservation
15 of wildlife habitat conditions downstream, as an
16 example?

17 MR. SWANSON: Not beyond what would be
18 contained in the licensing conditions and what was
19 considered at the time, I think.

20 MR. RAINING BIRD: So, in that sense,
21 the amount of weight to be given to any of the, as
22 far as societal interests or environment, it is
23 largely discretionary, within Manitoba Hydro's
24 discretion?

25 MR. GAWNE: I think to the extent that

1 the existing licences, and there are environmental
2 act licences elsewhere in our system, those aren't
3 considered discretionary. Like the minimum flow
4 requirement out of Lake Winnipeg Regulation is
5 adhered to as a licence requirement. I mentioned
6 earlier sites such as Wuskwatim where, you know,
7 their environmental requirements there, those
8 criteria are adhered to strictly.

9 MR. RAINING BIRD: But in terms of
10 this licence and operating within the specified
11 conditions and constraints within this licence,
12 when operating within those constraints the amount
13 of weight, I guess, to be given to environmental
14 or societal interests, in that way it is
15 discretionary, within Manitoba Hydro's discretion?

16 MR. GAWNE: Yes, to the extent that --
17 for instance, if we operate Jenpeg less
18 aggressively than the allowances under the
19 licence -- for instance, flow changes at Jenpeg
20 are generally made in smaller steps and allowed
21 under the licence, and that's under Manitoba
22 Hydro's discretion. Unless, of course, you know,
23 Lake Winnipeg levels go above 715 feet, then we
24 need to exercise maximum discharge. And it is
25 under those conditions where we would kind of

1 press up against the flow change constraints at
2 Jenpeg.

3 MR. RAINING BIRD: And that would keep
4 you in line with the terms of the licence, the
5 conditions of the licence, correct?

6 MR. GAWNE: In line with the terms of
7 the licence, yes, in terms of flow change
8 constraints, and as well the requirement to go to
9 maximum discharge.

10 MR. RAINING BIRD: Okay, thank you.
11 And this diagram, I'm just going to venture a
12 guess that this is not, this would not be
13 representative of the new balance that Mr. Cormie
14 has referred to previously?

15 MR. CORMIE: I think in principle,
16 whether it is an old balance or new balance, this
17 diagram would be a constant. And there may be
18 more factors that needed to be considered, in a
19 new balance there may be new constraints, but
20 there would always have to be a balance made.

21 MR. RAINING BIRD: Thank you. If you
22 go to slide 40?

23 Now, I believe when this slide was
24 being explained, one example that was given of how
25 external input could factor into a decision was

1 the slush ice conditions downstream; is that
2 correct?

3 MR. GAWNE: Yes, that's correct.

4 MR. RAINING BIRD: Are there any
5 specific guidelines or threshold limits that
6 govern a decision as to the prevention of slush
7 ice conditions, or whether the prevention of slush
8 ice conditions -- is there a certain limit or
9 threshold that needs to be reached in making those
10 operational decisions, that can't be crossed I
11 suppose?

12 MR. GAWNE: Subject to correction,
13 there is no specific licence restriction that
14 requires our operation to be restricted in a
15 certain manner relative to the amount of slush ice
16 that's created downstream, or slush conditions
17 created downstream. However, we do have as part
18 of our practice, again, within the confines of the
19 licences we have, we do operate to try and
20 minimize that impact. And I think we spoke to
21 that in our plain language document as one of the
22 practices that we undertake to try and limit the
23 effects on ice travel downstream of Lake Winnipeg.

24 MR. RAINING BIRD: So in making that
25 operating decision to try and adjust the operation

1 to limit those conditions, that is also a decision
2 that's discretionary for Manitoba Hydro, as long
3 as it operates within the parameters of the
4 licence, of course?

5 MR. GAWNE: Yes, we operate within the
6 parameters of the licence, with consideration on
7 impacts on stakeholders, be it slush ice impacts
8 or water level changes. So there are operating
9 decisions that are made with consideration of
10 those impacts and some of those operating
11 decisions are discretionary.

12 MR. RAINING BIRD: Are there any
13 written annual reports that detail these types of
14 decisions responding to, for example, Pimicikamak
15 travel concerns, any documentation that would
16 support or backup these types of decisions and
17 then be reported to the community?

18 MR. GAWNE: I think one form of
19 documentation of these decisions is the historic
20 operating information in terms of what flow
21 releases were made at various stations. Now, does
22 that documentation, the actual historic flows and
23 levels, does that identify how those and why those
24 decision were made? No, not specifically. But I
25 think the historic operation is one record in the

1 course of our operating decisions.

2 MR. SWEENEY: Just to add to that, in
3 regard to slush ice conditions downstream, we do
4 also have a safe ice trail network of employees
5 that monitor, install and monitor the safe ice
6 trails within the Cross Lake resource management
7 area. So in the case of slush ice or extreme
8 slush ice conditions, the staff would record some
9 of the slush ice.

10 MR. RAINING BIRD: Thank you. And if
11 you go to 42?

12 I believe this slide explains that
13 operations can be tempered to address concerns
14 about the environment, is that correct?

15 MR. GAWNE: Yes. If I may,
16 Mr. Raining Bird, if I could add a little bit to
17 that previous response, that there are other
18 factors that result in slush ice on Cross Lake and
19 other lakes downstream. You know, as we presented
20 on Tuesday, our typical operation of Lake Winnipeg
21 Regulation in the winter is to exercise LWR to
22 obtain maximum discharge through the winter for
23 power purposes. But ice conditions at the outlet
24 of Cross Lake and ice conditions in the east
25 channel of Cross Lake, and the west channel --

1 pardon me, east channel and west channel of Lake
2 Winnipeg will affect the flows that are going into
3 Cross Lake. Ice at the weir will affect levels on
4 Cross Lake. So it is not to suggest that levels
5 on Cross Lake are entirely controllable through
6 operation of Lake Winnipeg Regulation.

7 MR. RAINING BIRD: I understand. My
8 concern or my question was more focused around a
9 documentation and reporting process as to specific
10 concerns of communities that documents when
11 concerns were voiced and when they were addressed,
12 and when they had an influence on actual decision
13 making. And I take it from your previous answer,
14 correct me if I'm wrong, the answer to that was
15 no?

16 MR. GAWNE: We do not, to my
17 knowledge, have external documentation that
18 identifies all of those decisions when that
19 discretion was made.

20 Sorry, Mr. Hutchison reminded me that,
21 of course, when we do make these operating
22 decisions and have a planned operation, we are
23 providing forecasts to the communities that are
24 impacted by our operation. So that's a regular
25 course of our business is to provide forecasts of

1 those changes.

2 MR. RAINING BIRD: I understand.

3 Thank you. So back to this 42, slide 42?

4 This slide explains that operations
5 are tempered to address concerns about the
6 environment; that's correct? Right?

7 MR. GAWNE: That's correct, that's
8 what that reads.

9 MR. RAINING BIRD: And one of those
10 environmental conditions would again be the
11 presence of slush ice downstream?

12 MR. GAWNE: That's one condition, yes.

13 MR. RAINING BIRD: An example of a
14 condition?

15 MR. GAWNE: One example of a
16 condition, yeah.

17 MR. RAINING BIRD: Are there any
18 specific operating constraints that address the
19 formation of slush ice downstream?

20 MR. GAWNE: If you are looking for a
21 specific constraint, I'm not aware of a specific
22 constraint that we have to minimize slush on
23 downstream lakes, other than, of course, the flow
24 rate of change constraints and the minimum flow
25 constraints at Jenpeg. Obviously, the

1 construction of the weir at the outlet of Cross
2 Lake affects water level changes, and the degree
3 that water levels will change on Cross Lake as
4 inflows change. But we do have in our regular
5 practice, and we have explained this in our plain
6 language document, that prior to freeze-up, it is
7 our intent to try and minimize the effects of
8 slush ice and water level changes after freeze-up,
9 is to have flows such that Cross Lake levels will
10 freeze in at levels close to where we anticipate
11 that lake to be following the ice stabilization
12 program. So the idea is to have the lake freeze
13 in at a level that's not that much different than
14 we expect the level to be later in the winter, at
15 which case, or the intent of that is to minimize
16 the slush effects on Cross Lake and other
17 downstream lakes.

18 MR. RAINING BIRD: And so if concerns
19 are raised by any downstream communities as to the
20 effects of that -- sorry, what is the term -- cut
21 freeze-up?

22 MR. GAWNE: Ice stabilization program.

23 MR. RAINING BIRD: The November cut
24 back?

25 MR. GAWNE: The November cut back was

1 what we had originally referenced that program to,
2 yes.

3 MR. RAINING BIRD: Okay. So there are
4 specific concerns from the community. Are there,
5 again, any specific guidelines or reports,
6 documentation that would show how those concerns
7 are addressed in terms of effect on operational
8 decisions?

9 MR. GAWNE: When we conduct the ice
10 stabilization program, you know, that program has
11 evolved over the years certainly, and part of that
12 operation is to monitor conditions on Cross Lake,
13 and to be in contact with our Manitoba Hydro staff
14 in Cross Lake, and to understand the effects of
15 the ice on Cross Lake. So, part of the objective
16 of that program is to minimize effects on Cross
17 Lake. So whether that's a documented criteria,
18 I'm not sure if that fits your definition of that,
19 but it is certainly a guideline in our operation
20 of Lake Winnipeg Regulation ice stabilization.

21 MR. RAINING BIRD: Certainly there is
22 nothing within the licence that would mandate you
23 to do so, to minimize slush ice?

24 MR. GAWNE: Other than the constraints
25 on flow changes at Jenpeg, and the rate of change

1 that flows can be changed at Jenpeg, I don't
2 believe there are any constraints in the licence
3 that would directly address slush ice on Cross
4 Lake.

5 MR. RAINING BIRD: So then, not to
6 belabour the point, but similarly to the
7 environment, wildlife, habitat, anything of that
8 sort, the decisions that Manitoba makes, as long
9 as they are operating within these constraints of
10 the licence, are largely discretionary?

11 MR. GAWNE: Yeah, I think we are
12 required to operate within our licence and we do
13 that, and operations within that are at the
14 discretion of Manitoba Hydro but, again, it is
15 with those considerations in mind. I provided
16 examples, I believe yesterday on, for example,
17 operation of Lake Winnipeg Regulation in terms of
18 flood protection. Manitoba Hydro is obligated by
19 the licence to go to maximum discharge when water
20 levels exceed 715 feet, and when we increase flows
21 to that amount, it obviously impacts downstream
22 users. If we have the benefit of foreknowledge,
23 such as we did in 2013 when Alberta was
24 experiencing record flooding, and Manitoba Hydro
25 responded and began implementing flow increases at

1 Jenpeg at a rate that was below the maximum
2 allowable under the constraints of the licence.
3 So that's a tempered operation of flood control at
4 Lake Winnipeg beyond the obligation that's set out
5 in the licence. And it is those types of
6 operations that that point refers to.

7 MR. RAINING BIRD: Thank you. If we
8 could go to slide 62?

9 Now, it is my understanding that the
10 CEC asked Manitoba Hydro to investigate or analyze
11 possible changes to the licence in terms of
12 increasing or decreasing the maximum water level,
13 and correct me if I'm getting the terminology
14 wrong, from 715 to 714 or 716; is that correct?

15 MR. GAWNE: Subject to check, I think
16 we were asked to update the economic analysis
17 associated with changes to that aspect of the
18 licence. Manitoba Hydro, I believe the decision
19 was to go a little further and explain what might
20 the water regime look like under those scenarios,
21 which is the subject of appendix 10.

22 MR. RAINING BIRD: But those are the
23 only two alternative models that Manitoba Hydro
24 has considered; is that correct?

25 MR. GAWNE: Yes. As part of this

1 licence finalization process, I believe that was
2 the two scenarios that we investigated in detail.

3 MR. RAINING BIRD: And I believe, and
4 again you will have to correct me if I'm wrong,
5 but when Mr. Williams was cross-examining you, you
6 did indicate that it is within Manitoba Hydro's
7 capability to model for all sorts of different
8 possible conditions. And one of those could be
9 possibly the change of the -- what is the term I'm
10 looking for -- the change of the rate per day,
11 what is the 15,000 cubic feet per second rate per
12 day. So one model might be changing that rate,
13 lowering it or increasing it, those could be
14 modeled for. Am I correct in my understanding?

15 MR. GAWNE: Yes, that's correct. And
16 perhaps it helps the discussion earlier about
17 discretion and trying to temper operations. In
18 our modeling today, of course, we have the
19 capability to model these constraints that are
20 provided in the Lake Winnipeg Regulation licence.
21 But we have additional constraints embedded within
22 our modeling and our decision to support, to
23 assist in trying to consider the stakeholder
24 impact that I spoke of. We call it, it is called
25 a dog cone constraint. I don't know if you ever

1 owned a dog, but if they ever have to wear one of
2 those ugly conical collars. What it is, is a
3 constraint in our operation planning models that
4 limits the amount of change in Jenpeg, basically
5 limits the amount we will let the model recommend
6 changes in Jenpeg. And that constraint typically
7 is set at 15,000 CFS per week. And we use that
8 often in our decision analysis, which is obviously
9 much more restrictive than the 15,000 KCFS per day
10 that's defined in the licence. So the models are
11 capable of reflecting various constraints on the
12 system.

13 MR. RAINING BIRD: So my only point is
14 simply that it was only these two alternative
15 models that Manitoba Hydro was requested to
16 provide for this specific hearing?

17 MR. GAWNE: To answer the specific
18 questions associated with raising and lowering the
19 upper limit of what our licence, upper limit of
20 power production range, a specific model, a very
21 simple watered down model was created to answer
22 those questions. That was a separate model. As
23 we explained earlier, we are confident with the
24 operations models that we typically were using.

25 MR. CORMIE: Mr. Raining Bird, just to

1 put the 15,000 number in perspective, that's a
2 change in any 24-hour period. If you go back
3 through the historical record and go back to 1976,
4 and measure what the median change was on a daily
5 basis, I think it is around 1800 cubic feet per
6 second. So the change that normally occurs is
7 very small, and you have to go elevate to some
8 kind of emergency events, very few per cent of the
9 time does the actual record show that we were up
10 above 15,000, and in some of those circumstances
11 that was in response to emergencies. So, you
12 know, just saying this just to put in context how
13 often the 15,000 CFS is actually triggered, and it
14 is quite a small per cent of the time. And most
15 of the variation that occurs day-to-day is
16 associated with wind and those kind of natural
17 effects associated with the ice and weather
18 actions. It is not something that Manitoba Hydro
19 is every day bumping up and down against the
20 15,000 CFS.

21 MR. GAWNE: If I could just add to
22 that point? Prior to Lake Winnipeg Regulation,
23 water levels on Cross Lake would have been
24 impacted by wind effects on Lake Winnipeg. So as
25 we talked about yesterday, or the day prior, the

1 north basin and the south basin of Lake Winnipeg
2 are susceptible to wind, so the outlet area of
3 Lake Winnipeg can be blown up or down because of
4 persistent winds, and that results in changing the
5 outflow from Lake Winnipeg under prior LWR
6 conditions, which in turn result in water level
7 changes on Cross Lake. Those level changes would
8 have been likely in the order of what a 15,000 CFS
9 change at Jenpeg would have affected Cross Lake
10 by, after the weir was constructed.

11 MR. RAINING BIRD: Thank you.

12 Would you agree that some, and not
13 all, natural floods or drought can actually be
14 beneficial to ecological systems?

15 MR. SWANSON: Yes.

16 MR. RAINING BIRD: Could we go to page
17 75, or slide 75?

18 And would you also agree that it is
19 generally accepted that riparian ecosystems are
20 known to change in direct response to water
21 regulation?

22 MR. SWANSON: Sorry, could you say
23 that again?

24 MR. RAINING BIRD: Would you agree
25 that it is generally accepted that riparian

1 ecosystems are known to change in direct response
2 to water regulation?

3 MR. SWANSON: Yes, I think -- it is
4 well accepted, I think, that water regulation can
5 affect riparian ecosystems. Just switch that
6 around maybe.

7 MR. RAINING BIRD: Okay. So then
8 would it not be appropriate to monitor riparian
9 ecosystems, in addition to aquatic ecosystems, as
10 provided for in the CAMP program on the slide?

11 MR. SWANSON: I don't think it would
12 be inappropriate to monitor riparian ecosystems.
13 The program is the product of the concerns that
14 were heard to that point. I'm not disagreeing
15 with you, I'm just sort of pointing to the history
16 and the development of it, that's all.

17 MR. RAINING BIRD: I appreciate the
18 use of the double negative there.

19 Now, again, just moving on to the
20 trophic relationships in the system now, bear with
21 me because I never heard of any of this before the
22 hearing. So if we are concerned and we are
23 interested in trophic relationships in an
24 ecosystem, wouldn't monitoring additional species
25 other than those in CAMP, and I'm talking about

1 aquatic fur bearers such as muskrat, waterfowl,
2 amphibians, and fowl birds in riparian habitats,
3 would that not make sense and give a fuller
4 understanding of the effects of the hydroelectric
5 development?

6 MR. SWANSON: Yes, that would give a
7 fuller understanding.

8 MR. RAINING BIRD: If we could just
9 move to page 83?

10 Again, you are going to have to bear
11 with me. I believe that we asked a similar
12 question in an information request, but we are
13 hoping to get a little more information.

14 Walker Lake here in this graph is
15 shown as an off-system lake. Is that correct?

16 MR. SWANSON: Yes, it is in that
17 graph.

18 MR. RAINING BIRD: My understanding of
19 the reason behind that is that it is not directly
20 influenced by LWR every month of the year, but
21 during high water years, and essentially that
22 is -- again correct me if I'm wrong -- at a level
23 over 207.57 metres in Cross Lake, it is
24 effectively on system. Is that correct?

25 MR. SWANSON: I understand that there

1 are impacts, depending on the water level of Cross
2 Lake that it affects the water level of Walker
3 Lake. And that's what you are referring to,
4 correct, that it is at times affected by water
5 levels on Cross Lake?

6 MR. RAINING BIRD: Yes. My
7 understanding is that if the water level rises
8 above the 207 and a half metres, it becomes
9 affected by the levels there in Cross Lake?

10 MR. SWANSON: Right. Okay.

11 MR. RAINING BIRD: Then again, is it
12 correct to state that Water Survey of Canada data
13 shows that between 1992 and 2013, this was the
14 case ten months out of the year, on average?

15 MR. SWANSON: Yeah, I understand that
16 during the high water period that was the case.

17 MR. RAINING BIRD: So, essentially
18 this graph is comparing water quality as between
19 two lakes that were effectively on system for the
20 majority of the year?

21 MR. SWANSON: So, maybe a little bit
22 of explanation about on and off system water
23 bodies in CAMP and the designation of that. We
24 have been very careful to try and stay away from
25 the traditional understanding of the word

1 reference water body, because there aren't many
2 water bodies that are available that would take
3 the place or stand for the water bodies that are
4 on the system that has been affected. It is just,
5 you know, they are typically not midstream water
6 bodies on a large river system. What they were
7 intended to do was reference local climate
8 regional issues as the best comparator that we
9 could find. We worked with Provincial Fisheries
10 Branch who, based on their experience and their
11 understanding of the issues in the communities,
12 interests and issues, selected water bodies that
13 were representative of, that were clearly
14 on-system, but others that were more
15 representative of off-system. And Walker Lake
16 kind of falls into that intermediate category.

17 And it is useful in the sense that it
18 provides something in the gradation from on-system
19 to truly off-system, and over time its additional,
20 I guess that additional layer, I perceive, will
21 add some additional interpretive value, looking at
22 those times and those impacts when it was
23 connected via high water levels on Cross Lake. So
24 we acknowledge that it is in that intermediate
25 area, it is referenced as off-system here because

1 it is not clearly on-system, if that makes sense.

2 MR. RAINING BIRD: So for a dummy like
3 me who is reading this, I shouldn't take that
4 literally when you refer to on-system versus
5 off-system?

6 MR. SWANSON: I think that Walker Lake
7 is probably the example that we could have it
8 striped green and blue, perhaps, to have it
9 clearer, but...

10 MR. RAINING BIRD: Okay. Thank you.

11 MR. GAWNE: Perhaps if I could just
12 add to that? If we looked at -- consider that
13 water levels on Cross Lake when they are in that
14 207.5 and above range, which is where we've
15 established I believe that the effect to Walker
16 Lake is, that occurs under high inflows to Cross
17 Lake. And the patterns that we've seen pre and
18 post LWR, post weir levels for high flows are
19 similar. If you went to appendix 3, figure 12,
20 which shows monthly average Cross Lake water
21 levels during high flow years, the patterns are
22 quite similar. So the point there is, under high
23 flow conditions without LWR, Cross Lake levels
24 would have also been high. And that effect with
25 Walker Lake would have existed under high flood

1 conditions without LWR being in place.

2 MR. RAINING BIRD: Okay, thank you.

3 If we go to page 87?

4 Now, this summary suggests studies
5 have shown that water quality changes in the
6 outlet lakes were of small magnitude following the
7 LWR, and pre LWR data are necessary for this
8 assessment based on measured parameters. Is that
9 correct?

10 MR. SWANSON: Your first question
11 about the level of magnitude of change, what is
12 included are quotes from the report's authors, and
13 that's a direct quote from the report in terms of
14 their determination of the level of value, or
15 magnitude of change rather.

16 MR. RAINING BIRD: And when we are
17 talking about a direct quote, we are talking about
18 the Williamson and Ralley's 1993 report?

19 MR. SWANSON: Yeah.

20 MR. RAINING BIRD: In that case, in
21 that study was it the case that the first water
22 quality samples that were taken in that area were
23 done so in the period of 1972 to 1975?

24 MR. SWANSON: Yes, that study looked
25 at specific time periods, pre and post, and with

1 the water quality information that was available
2 to determine whether there were changes or not in
3 terms of the parameters that they looked at. And
4 they looked at different subsets of years, and
5 generally came to, they came to that conclusion
6 looking at pre and post LWR.

7 MR. RAINING BIRD: And so the reason
8 that that report I guess would be considered
9 useful would be that there is actual pre LWR data,
10 the 1972 to 1975 period?

11 MR. SWANSON: Yes.

12 MR. RAINING BIRD: But isn't it also
13 the case that in that period construction had
14 already begun?

15 MR. SWANSON: Possibly, I could double
16 check the exact years. I know we referenced it in
17 the plain language document.

18 MR. CORMIE: Mr. Raining Bird, I was
19 at Jenpeg the day they started building the
20 cofferdam in the tailrace for the spillway in
21 1972, and you are correct, the construction, there
22 was in-water construction in that period of time.

23 MR. RAINING BIRD: Thank you. I
24 suppose it is a little unfair of me because it is
25 actually mentioned in the report as a limitation

1 to the study. I just wanted to draw that out.

2 Are you aware of any further
3 discussion of the possible effect of construction
4 activities during that four-year period on the
5 water quality data?

6 MR. SWANSON: My understanding is that
7 the reason that the reports reference temporary
8 impacts is due to the construction activities,
9 that the most profound changes were associated
10 with the construction of the channel and increased
11 turbidity, but that that was, in their
12 conclusions, was time limited.

13 MR. RAINING BIRD: So, I'm sorry, is
14 it your opinion, or is it your position then that
15 the pre-construction activities would not have any
16 effect on the water quality?

17 MR. SWANSON: Sorry, pre-construction
18 activities?

19 MR. RAINING BIRD: When I say
20 pre-construction, I mean when it was being
21 constructed, the '72 to '75 period, is it your
22 position that those activities would have no
23 effect on the water quality downstream?

24 MR. SWANSON: I think what -- I know
25 what I'm saying is that the effects that were

1 documented were largely time limited around the
2 construction activities. The bigger increases
3 were the increased turbidity, total suspended
4 solids associated with the excavation and
5 construction of the channel. So the construction
6 activities had an impact, but over time those
7 changes were lessened because the activities
8 stopped going on, there wasn't as much disturbance
9 sort of ongoing. Does that make sense?

10 MR. RAINING BIRD: Are you speaking
11 about within the time period of 1972 to 1975, or
12 from 1972 over the entire period of the study?

13 MR. SWANSON: Without specifically
14 saying how long those impacts lasted, they would
15 have been associated and would have started
16 lessening when construction was complete.

17 MR. RAINING BIRD: Okay. So would you
18 agree with me that water quality monitoring and
19 data interpretation is extremely complex?

20 MR. SWANSON: I don't think it is
21 simple and I don't -- I think especially the
22 changes in methods and site locations, the lack of
23 continuity from pre LWR to date makes it
24 subjective at least. And yes, I guess in that
25 sense, yes, complex.

1 MR. RAINING BIRD: So given that
2 complexity, and given the limitation noted by the
3 authors in this study, would it be fair to say
4 that the data that is available there is not
5 sufficient to draw the definitive conclusions
6 about water quality pre and post LWR downstream?

7 MR. SWANSON: Yeah. And what we have
8 done is presented the summary of those results,
9 the conclusions of those results. The CAMP
10 protocol, the CAMP water quality sampling is a
11 continuation with the intent to better understand
12 what the state of the water quality is.

13 MR. RAINING BIRD: And just one
14 example, one possible reason for why construction
15 period water quality might be -- might affect
16 downstream would be the releasing of sediment
17 during construction which can be destructive to
18 fish habitat?

19 MR. SWANSON: Yes. Conceptually it
20 would be something that you would look at with
21 respect to fish habitat.

22 MR. RAINING BIRD: Thank you. Go to
23 page 89.

24 There is a quote in this summary as
25 well from Williamson and Ralley stating that the

1 changes:

2 "The water quality changes after LWR
3 probably had little effect on
4 vegetation and aquatic organisms as
5 all statistically significant changes
6 were below the Manitoba surface water
7 quality objectives."

8 Can you just confirm that in that
9 study they were referring to aquatic vegetation
10 and not riparian vegetation?

11 MR. SWANSON: That's my understanding.

12 MR. RAINING BIRD: And to follow up on
13 that, can you also confirm that there has been no
14 study of riparian vegetation or riparian habitat
15 structure in Cross Lake or Sipiwesk Lake?

16 MR. SWANSON: The information that we
17 had available to write the report is in the
18 report. There were some IR requests that asked
19 about shoreline classification works, and I think
20 there are works that were undertaken in other
21 areas. There may be data or information that has
22 been collected. There weren't reports available
23 sort of to summarize them that we used. So in
24 terms of confirming that there is or there isn't,
25 there weren't reports that we found to describe

1 riparian vegetation and health.

2 MR. RAINING BIRD: So maybe then just
3 there are none that you are aware of.

4 MR. SWANSON: Reports, well, yes.
5 Okay. Fair enough.

6 MR. RAINING BIRD: If we go to slide
7 90?

8 So, the values summarized here on this
9 slide show a portion of the data that was reported
10 in the 2014 CAMP report; is that correct?

11 MR. SWANSON: It is the 2008 to 2011
12 CAMP.

13 MR. RAINING BIRD: 2008 to 2011?

14 MR. SWANSON: Sorry, 2010.

15 MR. RAINING BIRD: Okay. Can you just
16 confirm that total phosphorous measurements for
17 the whole year, or for the time period indicated
18 here, in Playgreen and Cross Lake are relatively
19 high and are above the Manitoba narrative
20 guideline for total phosphorous?

21 MR. SWANSON: Yeah. The previous
22 graph where we talked about Walker Lake, there was
23 actually, the phosphorous -- 83. So the dash
24 behind on the bottom is the guideline for total
25 phosphorous. It is at .025 milligrams per litre.

1 So you will see that the phosphorous, total
2 phosphorous is above the narrative guideline level
3 for the on-system water bodies, and that would
4 reflect the source of the water being Lake
5 Winnipeg.

6 MR. RAINING BIRD: Sorry, my eyes
7 are -- okay, so we are just talking about the
8 first dotted line running through the middle
9 there?

10 MR. SWANSON: The one at .025?

11 MR. RAINING BIRD: Yes. Okay. If we
12 can flip back to the other slide, I think it was
13 90.

14 Okay. And that actually -- so now
15 what this is telling us, based on those levels,
16 and the additional levels of nitrogen and
17 chlorophyll, that this is classifying the lakes
18 listed as eutrophic?

19 MR. SWANSON: That's right, based
20 on -- well, it is categorized using different
21 parameters, so it is between mesotrophic and
22 eutrophic, median to high productivity.

23 MR. RAINING BIRD: So eutrophic is
24 good?

25 MR. SWANSON: It is like too much of

1 anything is not good. I think if it is highly
2 eutrophic, which is the concern with nutrients on
3 Lake Winnipeg, then there are risks that come with
4 that. The water bodies -- public perception of
5 cool, clear water is often that that's the best,
6 but it may be relatively unproductive, as in a
7 lake trout lake. So the word "good" is kind of a
8 relative one. They are on-system, it is a large
9 prairie river essentially, or water from prairie
10 rivers that's running through it, so they are
11 going to be in that medium to eutrophic, medium to
12 high productivity area. So it is not unusual, I
13 guess, is my point. You asked if that is good.

14 MR. RAINING BIRD: So then eutrophic,
15 if a lake is eutrophic, that's not necessarily a
16 good thing? It can be bad, it can be too
17 eutrophic?

18 MR. SWANSON: It can be too eutrophic,
19 that would not be good.

20 MR. RAINING BIRD: And would you agree
21 that that is especially the case, can be the case
22 with species of boreal rivers and lakes?

23 MR. SWANSON: I think the nature of
24 the water that flows through the Nelson River is
25 such that -- and this is what I was trying to say

1 before, perhaps not very well -- that the nature
2 of the water flowing through that river is that it
3 is going to tend to that medium to high
4 productivity because of the amount of -- the fact
5 that it carries prairie soil and flows through
6 prairie soils.

7 MR. RAINING BIRD: But my point is
8 just that it could have -- I mean, these levels
9 are classifying the lake as eutrophic, or a
10 certain -- it can have a differing effect
11 depending on the species I guess?

12 MR. SWANSON: Typically you will find
13 different species in different categories of
14 lakes.

15 MR. RAINING BIRD: So then, for
16 example, would you agree that eutrophication could
17 be having a negative effect on lake whitefish in
18 Cross Lake, in combination of other factors such
19 as drawdown during the spawning season?

20 MR. SWANSON: Yes, it is possible, but
21 like many of the other factors I'm not sure how --
22 they are very difficult to separate those pieces,
23 the level of nutrients and the amount. If it was
24 highly eutrophic, you could tend to see that being
25 less beneficial for --

1 MR. RAINING BIRD: So, again, my main
2 point is just for someone like me, who has no idea
3 about this stuff, if I was to look at this graph
4 and see that it was eutrophic, and I was also
5 concerned about say the species of whitefish, I
6 wouldn't be correct in simply relying on the fact
7 that the lake is eutrophic in determining the
8 health of that species?

9 MR. SWANSON: I don't think so, I
10 think it is probably the combination of things
11 that results in the issue of whitefish on Cross
12 Lake.

13 MR. RAINING BIRD: Thank you. And
14 would you agree that lake whitefish populations
15 have not recovered in Cross Lake, according to the
16 CAMP program and local observation?

17 MR. SWANSON: Yes, that's our
18 understanding.

19 MR. RAINING BIRD: And post
20 construction of the weir, does the CAMP program
21 have any study design that attempts to further
22 address the poor lake fish recruitment in Cross
23 Lake?

24 MR. SWANSON: Attempts to rehabilitate
25 it or attempts to understand it?

1 MR. RAINING BIRD: Either or, why
2 don't we break it into two?

3 MR. SWANSON: I would say that the
4 CAMP program is designed to over time enhance our
5 understanding. The continued sampling will allow
6 us to compare and with increasing confidence
7 understand what the species composition is and
8 track any trends and changes. In terms of --
9 there is nothing CAMP that's specifically designed
10 to rehabilitate. That would be a different
11 undertaking.

12 MR. RAINING BIRD: Okay, thank you.
13 And does the CAMP program intend to do any study
14 in the upper Nelson on the combined effects of
15 invasive aquatic species such as carp, rainbow
16 smelt, and regulation, river regulation, so the
17 combined effects of those two factors?

18 MR. SWANSON: I think the information
19 would be useful in performing those assessments.
20 There aren't any specific initiatives at this
21 point to look at invasive species, to assess the
22 effects of invasive species with CAMP data, but it
23 would certainly be available for that.

24 MR. RAINING BIRD: So then you would
25 agree that the CAMP program is essentially a

1 monitoring program only, and isn't designed to
2 test, to develop studies to test hypothesis about
3 ecosystem changes related to LWR or other
4 stressors that may result in cumulative effects,
5 for instance?

6 MR. SWANSON: Could you say that
7 again, just so I know exactly how you phrased it?

8 MR. RAINING BIRD: Yeah, I'm sorry.
9 So would you agree then that the CAMP program, as
10 it stands, is a monitoring program only, and does
11 not attempt to develop studies to test hypothesis
12 about ecosystem changes related to LWR, along with
13 other stressors that may result in cumulative
14 effects?

15 MR. SWANSON: The CAMP program is a
16 monitoring program. It is a question based
17 monitoring program in the sense that it looks to
18 associate ecosystem parameters with physical
19 parameters and water level flow hydrometric
20 information. So in a way it is designed to assist
21 with developing the questions. That's part of the
22 intention of the CAMP program is to monitor and
23 understand, but also to serve as a first step in
24 identifying issues or concerns that require more
25 in-depth or additional effort or work or study.

1 MR. RAINING BIRD: So it is
2 essentially a tool that could be used in those
3 types of studies?

4 MR. SWANSON: Yeah. I think it is the
5 start of some of those questions that lead to more
6 work.

7 MR. RAINING BIRD: Are you familiar
8 with the 1986 Cross Lake environmental assessment
9 that was done in conjunction with, I believe, the
10 construction of the Cross Lake weir, or prior to?

11 MR. SWANSON: I'm familiar with the
12 fact that there was an assessment and some of the
13 higher level conclusions and recommendations.

14 MR. RAINING BIRD: Are you aware that
15 in that assessment, predictions were made that the
16 weir would result in the recovery of aquatic fur
17 bearer populations along Cross Lake and its
18 tributaries?

19 MR. SWANSON: My understanding was
20 that the stabilization of water levels was seen as
21 logically beneficial, and the hypothesis coming
22 from that was that it would be of benefit.

23 MR. RAINING BIRD: And has there been
24 any program or study designed to test those
25 predictions, in relation to the aquatic fur bearer

1 populations?

2 MR. SWANSON: In general, the plain
3 language document makes reference to the sort of
4 relative scarcity of fur bearer wildlife
5 population abundance estimate type studies. There
6 are studies that look more at the harvest, so more
7 on the efficiency side from a resource harvesting
8 perspective. As I pointed out, the difficulty
9 with using those to determine population levels is
10 that the market factors, the price of the fur and
11 differences in prices in fur would have an impact
12 on harvest. So I'm not aware of any specific
13 studies that address the population specifically
14 in terms of estimates of abundance.

15 MR. RAINING BIRD: Okay, thank you.

16 And then similarly in the
17 environmental assessment, the 1986 Cross Lake
18 environmental assessment, predictions were made
19 that it would result in returning aquatic
20 vegetation growth patterns to those similar to
21 that existed before LWR. Can you just confirm, or
22 are you aware of any programs or studies that have
23 been designed to test those predictions?

24 MR. SWANSON: Again, my understanding
25 is that the logic is in establishing or trying to

1 recreate water levels closer to what were natural
2 that the vegetation patterns would go back. And
3 I'm not aware of any studies that have
4 specifically looked at the extent to which that
5 has occurred.

6 MR. RAINING BIRD: Okay, thank you.
7 If we could just go to page 104?

8 This slide relates to the presence of
9 lake sturgeon and the impacts on lake sturgeon
10 habitat as a result of LWR. Can you confirm that
11 lake sturgeon in the Nelson River have been
12 recommended by the committee on the status of
13 endangered wildlife in Canada to be classed as
14 endangered under the Species at Risk Act?

15 MR. SWANSON: I understand there is a
16 recommendation to that effect.

17 MR. RAINING BIRD: Would you agree
18 that studies on habitat impacts due to LWR, or
19 these studies on habitat impacts due to LWR on
20 lake sturgeon on the upper Nelson have been fairly
21 limited given the status of these populations?

22 MR. SWANSON: Are you asking if there
23 has been less study because there is not, because
24 of that status or --

25 MR. RAINING BIRD: I suppose I'm

1 asking if given that there is a recommendation
2 that these be classified as endangered, would you
3 not think that there should be more studies based
4 on that status?

5 MR. SWANSON: There has been a lot of
6 study. I don't have a long list of all of the
7 activities that have been undertaken, but I can
8 say that the understanding and appreciation of the
9 status of sturgeon in Manitoba is -- it has gone
10 through some peaks and valleys in terms of concern
11 initially, and then a better understanding of
12 where sturgeon are in numbers. And so that,
13 again, referencing the history and how things
14 changed with increased knowledge, there has been a
15 great deal of focus put on sturgeon and the
16 establishment of sturgeon boards, community groups
17 working collectively with regulators, and Manitoba
18 Hydro's involvement in that, and stewardship and
19 enhancement programs as well, including stocking,
20 rearing of sturgeon. So there could probably
21 always be more study, but there has been a lot of
22 study, and considered and concentrated effort has
23 been put to trying to understand and address as
24 best we can.

25 MR. RAINING BIRD: So then you would,

1 I suppose, agree then that something, the
2 comprehensive cumulative effects assessments
3 including new field research would be valuable?

4 MR. SWANSON: New information would
5 always be helpful. I think it would -- you would
6 want to make sure, obviously, that it is
7 considered and sort of appropriate in terms of
8 what has already gone on and the amount of work
9 that has happened.

10 MR. RAINING BIRD: Thank you. Go to
11 the next slide, 105?

12 Can you confirm in terms of waterfowl,
13 can you also confirm that there has been no study
14 post Cross Lake weir as to the effects of the weir
15 on waterfowl habitat?

16 MR. SWANSON: No. My understanding is
17 that there are hypothesis that it would have
18 affected, but no studies that I'm aware of
19 specifically on Cross Lake.

20 MR. RAINING BIRD: Would studies of
21 that sort be useful?

22 MR. SWANSON: Yeah, one of the
23 limiting -- well, there were some studies done in
24 the upper Nelson River area. They were more
25 focused, I believe, on Playgreen Lake and upstream

1 of Jenpeg. And they did note declines in
2 waterfowl. The difficulty is looking at a species
3 that, or a set of species that migrate as far as
4 they do, and that are affected by factors in other
5 places, to look at a specific water body in the
6 context of a big set of regional factors that
7 affect them both positively and negatively is -- I
8 think that was seen as difficult to do, and might
9 be the reason why there weren't more studies to
10 that effect. To look at the habitat would be
11 valuable, in terms of abundance, it could vary for
12 a variety of reasons is what I'm saying.

13 MR. RAINING BIRD: Okay, thank you.

14 And then at page 106?

15 So I just want to go to the third
16 bullet point here.

17 "Cross Lake Weir improved habitat
18 conditions downstream of Jenpeg".

19 I just wanted to know what evidence is there to
20 support that statement?

21 MR. SWANSON: Again, it is the
22 connection to water levels. It would have
23 improved habitat conditions in terms of more
24 stable water levels. I'm not -- it doesn't sort
25 of attempt to infer what the numbers of beaver

1 have been, but the habitat conditions were
2 improved.

3 MR. RAINING BIRD: I'm sorry, can
4 you -- for my own understanding, can you repeat
5 that?

6 MR. SWANSON: The statement says that
7 the weir improved habitat conditions downstream of
8 Jenpeg. By stabilizing water levels on Cross
9 Lake, it made the habitat more suitable for
10 beaver. Maybe this is a subtle distinction to
11 some people, but it doesn't actually say that the
12 beaver increased, because as we just discussed,
13 there weren't a lot of studies on aquatic fur
14 bearer abundance per se. But logically it would
15 have allowed beaver to establish lodges and food
16 caches in a more secure, stable environment, by
17 reducing the water level fluctuations.

18 MR. RAINING BIRD: So it is more of a
19 speculative statement?

20 MR. SWANSON: I think the statement is
21 accurate in terms of the habitat. It is -- the
22 inference, I suppose, would be that it should have
23 also increased beaver abundance. That's where
24 perhaps you are reading an inference.

25 MR. RAINING BIRD: Okay. So would you

1 agree that erratic water level fluctuations,
2 especially drawdown and flooding in winter would
3 almost certainly have a severe negative effect on
4 beaver and muskrat?

5 MR. SWANSON: Yes, depending on how
6 dramatic that is, it would definitely impact
7 beaver and muskrat.

8 MR. RAINING BIRD: So then would you
9 agree that to better understand the ongoing
10 effects of LWR on aquatic fur bearers and the
11 effectiveness of the Cross Lake wier mitigation
12 project, that a current study of aquatic fur
13 bearer habitat conditions over several years, as
14 well as population studies would be useful?

15 MR. SWANSON: That would enhance our
16 understanding.

17 MR. GAWNE: If I could add to this?
18 With respect to the water regime and the effects
19 of the weir, further to earlier statements that
20 the weir has -- as you see in the water regime
21 charts that were provided, both in the plain
22 language document and the results of more detail
23 requested in CEC 15 that show distribution of
24 water levels pre and post weir and pre LWR, that
25 the water regime on Cross Lake has certainly come

1 closer to what existed prior to Lake Winnipeg
2 Regulation through the construction of the weir.
3 So it is just helpful to look at those water
4 regime charts. And in terms of variability in
5 water levels, monthly changes in water levels pre
6 LWR, subject to check, was evaluated to be about
7 .6 feet per month. After Lake Winnipeg
8 Regulation, those water level fluctuations
9 increased and the weir was constructed, and the
10 post regulation variation is now in the range of
11 .7 feet per month, so similar to pre LWR.

12 MR. RAINING BIRD: Right. But I guess
13 the main point is simply that there are no studies
14 to actually confirm the populations, or the
15 fact -- it is just an inference, again, that
16 restoring conditions previous to the weir or
17 previous to LWR would tend to lead to improved
18 habitat conditions?

19 MR. GAWNE: Yes. I was adding this
20 point just to go -- I guess to bring it way back
21 to the initial comments that we were asked to
22 agree that variability is, you know, can be a good
23 thing. And the point is that the variability that
24 we are seeing on Cross Lake is similar to what
25 existed prior to Lake Winnipeg Regulation.

1 MR. RAINING BIRD: Thank you. If we
2 go to page 107, and feel free to -- I'm not sure,
3 just for my own --

4 THE CHAIRMAN: About 15 minutes.

5 MR. RAINING BIRD: Okay. So the
6 presentation here states that the most obvious
7 effects of LWR on ungulates on shoreline areas,
8 and that would be the loss of shoreline action,
9 reduction in browsing, or browse. Given that the
10 most obvious effects of LWR are recognized as
11 being effects on shoreline habitats and quality
12 for ungulates as well as other terrestrial and
13 riparian species, would you agree that the lack of
14 shoreline habitat study is a major gap in
15 ecological monitoring?

16 MR. SWANSON: Like I stated before,
17 the current monitoring program is in response to
18 the questions and the issues that have arisen over
19 time. I wouldn't debate the value of riparian,
20 study of riparian habitats as it relates to
21 riparian species, both sort of aquatic and more
22 terrestrial.

23 MR. RAINING BIRD: That's fine. Would
24 you also agree that manipulating the water levels
25 is one of most important contributors to the

1 development and maintenance of riparian habitats?

2 MR. SWANSON: Yes.

3 MR. RAINING BIRD: Can we go to 111?

4 Now, we've heard a lot about the
5 final, the difference between the final licence,
6 or the perceived difference between the final
7 licence application process and the pending
8 renewal licence application process. And I just
9 want to confirm, is Manitoba Hydro willing to
10 consider the necessary study required to
11 understand the effects of mitigation measures,
12 such as changes to the operating regime, either in
13 terms of the period leading up to and/or including
14 the final licence, or the renewal licence
15 application process? Maybe that wasn't -- was
16 that question completely unclear? I can make it
17 more complicated.

18 MR. CORMIE: No, I think,
19 Mr. Raining Bird, I understand the question. And
20 I think this goes back to the licence, as it
21 stands now, represents the balance that was struck
22 in the early 1970s, and if it is desirable that a
23 new balance be struck at the time that a renewal
24 licence is issued. And we are trying to find out
25 what is the best way the lake and the project can

1 be operated. Clearly that parameter is a
2 significant parameter and we should study the
3 implications of that. And there are other values,
4 other parameters that could be studied as well.
5 So it all has to be looked at in a comprehensive
6 manner.

7 MR. RAINING BIRD: And just if I was
8 sort of following on that, it is my understanding,
9 and correct me if I'm wrong, that in your evidence
10 prior you testified that in terms of the final
11 licence application, Manitoba Hydro's expectation
12 is that it will be status quo. Is that correct?

13 MR. CORMIE: Yes, that's correct.

14 MR. RAINING BIRD: And then I believe
15 you also, as you were speaking about it, you also
16 said that Manitoba Hydro welcomes, would welcome
17 guidance, or I think you called it a road map, as
18 far as the renewal application process would go.
19 Is that correct?

20 MR. CORMIE: Yes, I said that.

21 MR. RAINING BIRD: And I took it from
22 your earlier comments as well then that, if
23 necessary, Manitoba Hydro would not object to
24 participating in an environmental assessment
25 process, if necessary, with regard to the renewal

1 application process. Is that correct?

2 MR. CORMIE: Yes, that's correct.

3 MR. RAINING BIRD: And so part of --
4 from past projects, is it your experience then
5 that environmental assessment projects, or
6 processes, the requirements in environmental
7 assessments require a number of years possibly to
8 adequately prepare for?

9 MR. CORMIE: Definitely, yes.

10 MR. RAINING BIRD: And so then if an
11 environmental assessment is required in terms of
12 the renewal process, would Manitoba Hydro benefit
13 from essentially a longer lead time in terms of
14 acquiring that data that would be required for any
15 such environmental assessment?

16 MR. CORMIE: Yes, I would agree with
17 that. I believe, given the time necessary to do
18 studies and consultations, that if we left the
19 study process to the date at which Manitoba Hydro
20 is required to apply for a renewal licence, that
21 may not give us sufficient time to have the
22 Province consider a renewal licence in 2026, and
23 that decision may get deferred to another time.
24 But given the schedule that we know now, and
25 knowing how long these processes take and the

1 amount of information and work that needs to be
2 done, I believe this is an opportunity to start
3 going in that direction today.

4 MR. RAINING BIRD: So given that
5 answer then, would you agree that all of the
6 studies that I've just been discussing over the
7 course of this cross-examination would potentially
8 be quite valuable when participating in any such
9 environmental assessment?

10 MR. CORMIE: Yes. And I think the
11 concept of laying out a road map that looks at
12 where we want to be, where we are now, identifying
13 gaps, and I think there are some studies going on
14 now that will put us in the position to say there
15 are certain gaps in our knowledge base, that those
16 gaps can be closed and other areas can be studied
17 so that when we get to the renewal, point of
18 renewal, then we will have the information to make
19 the decision on the next 50 years.

20 MR. RAINING BIRD: Then just
21 conversely then, without the types of studies that
22 we have mentioned, the type of ecological
23 monitoring, without that, would you agree that
24 Manitoba Hydro would be ill-prepared for any
25 environmental assessment process?

1 MR. CORMIE: I think we would prepare
2 as best we were capable of. I don't think that we
3 would go forward without doing our best. But I
4 think a better job can be done if everybody's
5 expectations are aligned in the time frame, time
6 lines laid out. And when we get to the date when
7 a renewal licence needs to be issued, the work has
8 been done to everyone's satisfaction, and then
9 there are no gaps. It is not Manitoba Hydro's
10 assumption of how it should be done, we have been
11 directed, and then our actions are consistent with
12 that. Not just for this project, but there are
13 many licences that are coming up for renewal, so
14 it would be nice to have a road map that would
15 have a common standard.

16 MR. RAINING BIRD: Would you generally
17 say, the earlier the better?

18 MR. CORMIE: Yes, because this takes a
19 long time, yes.

20 MR. RAINING BIRD: Thank you. Can we
21 go to page 121, please?

22 This might actually be a good time for
23 a break if you want to do that then, or we can
24 keep --

25 THE CHAIRMAN: Sure, we will take a

1 break until 10 after 3:00 o'clock.

2 (Recessed at 2:55 p.m. and reconvened
3 at 3:10 p.m.)

4 THE CHAIRMAN: Okay, Mr. Raining Bird.

5 MR. RAINING BIRD: Thank you. Okay,
6 so moving on, now we are talking about the
7 Northern Flood Agreement. And on this slide you
8 can say that there is much room for
9 interpretation, and if we -- I believe,
10 Mr. Sweeney, you were talking about this -- and
11 that many of the claims under the Northern Flood
12 Agreement went to arbitration.

13 Is it your understanding that one of
14 the main issues as to the different, or one of the
15 main issues in terms of conflict between
16 Pimicikamak and Manitoba is as to the breadth of
17 the interpretation given under the NFA? And by
18 that, to clarify, I mean is it your understanding
19 that Pimicikamak, or other First Nations who were
20 previously governed by the NFA, interpreted the
21 NFA and its terms broadly, whereas Manitoba
22 interpreted it narrowly?

23 MR. SWEENEY: I would say likely no.

24 MR. RAINING BIRD: Just to clarify
25 your response, which part of that would you

1 disagree with? Would you disagree with that
2 Pimicikamak wishes the NFA to be interpreted
3 broadly?

4 MR. SWEENEY: I was getting -- the
5 point in my presentation was really related to the
6 interpretation of some of articles in the NFA.

7 MR. RAINING BIRD: And at the risk of
8 sounding simplistic, my contention, my suggestion
9 would be that when we are dealing with
10 interpretation of specific articles, generally
11 speaking, Pimicikamak has advocated for a broad
12 interpretation of those provisions, whereas
13 Manitoba has advocated for a more narrow
14 interpretation.

15 MR. SWEENEY: Yes, at times. But I
16 would say the interpretation was, interpretation
17 by all parties was somewhat different.

18 MR. RAINING BIRD: Does Manitoba
19 consider the NFA to be a Treaty?

20 THE CHAIRMAN: When you say Manitoba,
21 are you referring to the Manitoba Government or
22 Manitoba Hydro?

23 MR. RAINING BIRD: Sorry, I will
24 confine that to Manitoba Hydro.

25 MR. SWEENEY: Can you repeat that

1 question, please?

2 MR. RAINING BIRD: Does Manitoba Hydro
3 consider the Northern Flood Agreement to be a
4 treaty?

5 MR. SWEENEY: I understand the Manitoba
6 Government has made statements to it's a modern
7 day treaty, yes.

8 MR. RAINING BIRD: Can we just go to
9 124?

10 This slide relates to implementation
11 of the NFA, and I just wanted to clarify. In
12 1997, it says that Cross Lake First Nation decided
13 to proceed within the specific terms of the NFA.
14 So that was -- in other words, they rejected the
15 approach of signing a cumulative impact agreement,
16 correct?

17 MR. SWEENEY: A comprehensive
18 implementation agreement?

19 MR. RAINING BIRD: Comprehensive, yes.

20 MR. SWEENEY: Yes.

21 MR. RAINING BIRD: So the next point
22 down says:

23 "Action plans were developed to
24 address NFA obligations."

25 Is it your understanding -- I just want to get

1 some more specifics about that. So it is my
2 understanding that there was an action plan in
3 2002 that was developed mutually between the
4 parties, Pimicikamak and Manitoba Hydro, and that
5 that was implemented. Is that correct?

6 MR. SWEENEY: No.

7 MR. RAINING BIRD: Can you explain
8 why?

9 MR. SWEENEY: It was a three party,
10 jointly discussions with Manitoba Hydro, Manitoba
11 and Cross Lake First Nation.

12 MR. RAINING BIRD: My mistake, that's
13 right. But it was mutually -- the assertion is
14 that it was mutually developed between all three
15 parties, is that correct?

16 MR. SWEENEY: That's my understanding,
17 yep.

18 MR. RAINING BIRD: And so then in
19 2004/2005 -- so that the 2002 action plan was
20 implemented and its provisions. Then, to my
21 understanding, in 2004 and 2005 another action
22 plan was proposed by Pimicikamak, or Cross Lake;
23 is that correct?

24 MR. SWEENEY: I'm not aware of that.
25 I'm not aware, and what I'm not aware about is who

1 proposed what type of approach, so that we would
2 have to go back -- but I don't know if it was
3 Pimicikamak because I wasn't involved at the time,
4 but the history --

5 MR. HUTCHISON: If I can maybe jump in
6 a bit, I was working in the Aboriginal relations
7 division at the time. And the issues, I do know
8 that there were action plans developed. There
9 were some, at times they were mutually worked on
10 for each of the programs that would comprise the
11 implementation. I do also know that there were
12 times that Cross Lake First Nation or Pimicikamak
13 proposed their own sort of programming. We are
14 just not clear on whether that 2004/2005 time
15 frame is one of those times. Does that --

16 MR. RAINING BIRD: Well, we will hear
17 evidence later on in the hearing as to the
18 specifics of that. For now, would you just agree
19 that in 2004/2005, there was an action plan being
20 developed by the parties?

21 MR. HUTCHISON: That sounds correct by
22 me.

23 MR. RAINING BIRD: And then in 2005,
24 it is my understanding again that the action plan
25 process, I suppose it could be called, was

1 unilaterally shut down by Manitoba Hydro. Is that
2 correct?

3 MR. SWEENEY: I don't recall that.

4 MR. RAINING BIRD: Well, we will hear
5 evidence then later that that was the case. But
6 to your knowledge then, since that time has --
7 until 2014, from that point to the present, are
8 you aware of any other action plans that have been
9 either developed or implemented?

10 MR. SWEENEY: Well, the action plan
11 process continued throughout every year, so the
12 action plan process did continue. However, the
13 involvement of Cross Lake First Nation varied from
14 year to year. So the action plan that was
15 developed jointly with Cross Lake First Nation and
16 Manitoba and Manitoba Hydro, although at some
17 point after -- you mentioned 2006, was it, or
18 2005 -- Manitoba Hydro and Manitoba continued to
19 implement the programs that were based out of that
20 action plan. So the action plan that was jointly
21 developed continued, although it didn't have all
22 of the involvement of Cross Lake First Nation, for
23 various reasons.

24 Further to that, Cross Lake First
25 Nation later became engaged, later in the years in

1 2010 and 2011, through a different process. So
2 there has been a number of different processes
3 throughout the years. So, the implementation
4 committee, for example, had Cross Lake at the
5 table along with Manitoba Hydro looking at the
6 various action plans. So over the years it varied
7 with the involvement. But Manitoba Hydro always
8 took the position that, you know, Cross Lake First
9 Nation, we wanted them to get to the table.

10 MR. RAINING BIRD: So, then would a
11 proper characterization of that evidence be that
12 mutually developed implemented action plans
13 ceased, as between three parties, ceased to exist
14 in 2005?

15 MR. SWEENEY: No, I believe that would
16 be incorrect.

17 MR. RAINING BIRD: Let's go back. So
18 2005 was the last action plan that had involved --
19 as we were using the term here, which is action
20 plan in this context, 2002, 2004, and 2005, that
21 was the last one that had the involvement in the
22 development and implementation of Cross Lake, is
23 that correct?

24 MR. SWEENEY: With the involvement of
25 Cross Lake First Nation, that's correct. However,

1 like I said, in 2010 Cross Lake First Nation
2 became more involved in the action plan process,
3 although something a little different than in
4 2002, but they were involved with the
5 implementation of the Northern Flood Agreement.

6 MR. RAINING BIRD: Okay. And then in
7 terms of the last bullet point here, the process
8 agreement that was signed on December 15, 2014,
9 that was a direct result of the occupation of the
10 Jenpeg dam; is that correct?

11 MR. SWEENEY: I would -- that's what
12 came after, yeah.

13 MR. RAINING BIRD: And in terms of the
14 process agreement that came out of that, is it
15 your understanding that that, as the title
16 suggests, is simply a process agreement and that
17 there are no guaranteed outcomes?

18 MR. SWEENEY: Yes.

19 MR. RAINING BIRD: Can we just switch
20 to slide 130?

21 In terms of the impacts to a culture,
22 ways of life and heritage resources, you are
23 speaking generally about these programs yesterday,
24 and you had a list, so I don't want to get into
25 too many specifics. But generally, how would you

1 judge the success of these initiatives in terms of
2 how they address the impacts?

3 MR. SWEENEY: Could you be more
4 specific?

5 MR. RAINING BIRD: Are there formal
6 criteria, or formal objectives that you could
7 objectively measure the success of the programs
8 by?

9 MR. SWEENEY: Well, I think there is
10 various numbers of programs. Do you want me to go
11 into some of the programs?

12 MR. RAINING BIRD: Well, if you have
13 examples of specific objectives or specific
14 criteria by which these programs can be judged
15 with regards to a specific program, then any
16 examples would be appreciated.

17 MR. SWEENEY: Okay. In relation to
18 some of the programs, for instance, the trappers
19 program, the trappers program is -- it was jointly
20 reached between Manitoba Hydro and Manitoba, and
21 the trappers association. So in that case there
22 was a form of compensation that was paid to the
23 trappers for impacts relating to fur bearing
24 animals as it relates to trapping. In light of
25 that there was a number of different programs that

1 were tied to the trapping program. Examples of
2 some of the programs that were jointly developed
3 with the trappers association, programs that they
4 felt would be useful to enhance trapping or to
5 continue trapping, some of them included an
6 equipment fund, some of them included a loan,
7 equipment loan process, some of them created a
8 grubstake loan, so if the trappers didn't have a
9 certain amount of dollars for that year prior to
10 trapping, that this would allow them to get out
11 and go trapping. A number of programs included
12 rehabilitation and habitat for some of the fur
13 bearing animals. So basically what that is, if a
14 trapper wanted to apply, he would make a proposal
15 to a trapping association, and therefore, upon
16 approval of the trappers association, they would
17 provide dollars to the trappers. Another thing
18 with the trapping program, it allowed also for the
19 local schools that teach, that have younger kids
20 to apply through this process and to take the
21 young kids out and have equipment to take them
22 out. So this was another form where this program
23 assisted.

24 Another thing that came with that
25 program as well was tied also to the -- there was

1 a 50 per cent incremental cost based on aquatic
2 fur. So when the trappers would go out on an
3 annual basis, as it relates to their aquatic fur
4 catches, they would receive 50 per cent more on
5 the value that they received for that year. That
6 combined with the safe ice trail program, so the
7 safe ice trail program, this would be an interim
8 measure where the resource users would be hired to
9 put the trails in place, and then at the end of
10 it, remove them. So this is just a number of
11 programs, but this combined, the combination of
12 all of them contributed to the overall success.
13 And my point is there, it is getting the people
14 that are impacted back out on the land and being
15 able to work with some of these programs.

16 MR. RAINING BIRD: I appreciate that.
17 But what I was asking is just, are there formal
18 criteria by which these programs can be
19 successful? You spoke generally saying, you know,
20 these programs exist. And I'm not debating
21 whether or not the programs are there. My simple
22 point is whether or not there are a list of formal
23 objective criteria by which each program can be
24 measured, the success can be measured, other than
25 a general statement that the people are back on

1 the land or they have these abilities?

2 MR. HUTCHISON: If I can? There
3 weren't formal criteria that Manitoba Hydro and
4 Cross Lake First Nation or the trappers
5 association developed. But the mere fact that
6 going through discussions and reaching agreement
7 on what a program would involve, to me that should
8 constitute that, in the case of trapping and the
9 agreement that was reached with the trappers
10 association, that the issues to do with trapping
11 were resolved in a way that both parties, or all
12 three parties were satisfied with.

13 MR. RAINING BIRD: Fair enough.

14 MR. SWEENEY: And just one last piece
15 to add to that, is the program itself also comes
16 with an annual commitment to meet annually with
17 the trappers. So, therefore, they receive direct
18 feedback from the trappers themselves, or the
19 people utilizing the programs, at which time they
20 can either be amended in a case of such
21 conditions. So at the ground level, that's a
22 monitoring tool that's utilized by Manitoba Hydro
23 and Manitoba to get direct feedback back from the
24 people that are utilizing the programs. So to say
25 a reference to a formal monitoring of the

1 program's success, well, that depends in my view
2 on some of the people that are utilizing it as
3 well. So that would be the formal approach that
4 Manitoba Hydro has taken.

5 MR. RAINING BIRD: So then you
6 mentioned the trappers program and the safe ice
7 program. Are there annual reports setting out the
8 objectives and accomplishments of either of these
9 programs?

10 MR. SWEENEY: In regards to the safe
11 ice trail program, the debris program, yeah, we do
12 have annual reports.

13 MR. RAINING BIRD: And the trappers
14 program?

15 MR. SWEENEY: The trappers program
16 itself, we would have some reports on what was
17 received as far as the types of things that went
18 out, and the type of program that was utilized.
19 So there would be some sort of a report based on
20 that.

21 MR. RAINING BIRD: Okay, thank you.
22 Can we go to 136?

23 So the lake sturgeon stewardship and
24 enhancement program, can you just let us know, or
25 let me know what habitat enhancement is being done

1 in the upper Nelson for lake sturgeon? For
2 example, spawning habitat rehabilitation?

3 MR. SWANSON: You are looking for
4 examples in the LWR area or just --

5 MR. RAINING BIRD: The upper Nelson?

6 MR. SWANSON: I think what I am aware
7 of is there has been some stocking of sturgeon in
8 the existing habitat. I know in the east side
9 channel there has been some stocking there, and it
10 is showing signs of beneficial survival. I'm not
11 sure there has been enough time for sturgeon to
12 grow old enough to actually spawn from that. I'm
13 not aware of any specific habitat programs. There
14 is the sturgeon board activities as well, which
15 were primarily the community and the province, I
16 think, and more targeted at conservation as well
17 as the sturgeon hatchery stocking work.

18 MR. RAINING BIRD: But stocking is
19 essentially what is going on, not actual habitat
20 rehabilitation?

21 MR. SWANSON: Yeah, it is primarily
22 stocking, which is not a Hydro role, but in
23 association with that is the management of harvest
24 working with the community, the province working
25 with the community, so the combination of that and

1 stocking, there is -- to my knowledge there is no
2 specific habitat works.

3 MR. RAINING BIRD: Thank you. If we
4 can just go to 138, slide 138?

5 MR. SWANSON: Sorry, can I just add to
6 that?

7 I think part of the reason for that is
8 the fact that sturgeon populations were quite low
9 to start with, the habitat wasn't a limiting
10 factor. While there has been changes associated
11 with regulation that affects sort of the carrying
12 limit of sturgeon, the commercial harvest levels
13 in the past had knocked the population levels down
14 so low that rehabilitating numbers through
15 stocking was seen as more appropriate, or more
16 valuable, more efficient than dealing with
17 habitat. Habitat just wasn't limiting because of
18 the low abundances.

19 MR. RAINING BIRD: Okay, thank you.

20 So under the NFA, one of the
21 provisions of that agreement is that reserve land
22 taken is to be compensated with replacement land
23 at a ratio of 4 to 1. That's acres, is that
24 correct?

25 MR. SWEENEY: Yes.

1 MR. RAINING BIRD: And has Cross Lake
2 received its land under -- its land entitlement
3 under the NFA?

4 MR. SWEENEY: No.

5 MR. RAINING BIRD: Page 139.

6 Now we are talking a little bit about
7 shoreline erosion and shoreline protection here.
8 Can you just confirm what we are looking at, where
9 these pictures were taken?

10 MR. SWEENEY: The picture to your left
11 is Red Rock and Sipiwesk Lake. And I'm not too
12 sure about where the picture to your right was
13 taken.

14 MR. RAINING BIRD: Does that sound --
15 the community of Cross Lake, is that correct?

16 MR. SWEENEY: It doesn't look like it.

17 MR. RAINING BIRD: In any event, I
18 don't think that you can really see on the left,
19 but what is that called? Is that riprap, or what
20 is that wire shoreline protection?

21 MR. SWEENEY: Gabion basket.

22 MR. RAINING BIRD: Okay, so gabion
23 basket. That's essentially you -- I'm just going
24 by -- can you explain what the process is for
25 doing that?

1 MR. GAWNE: As far as placement of
2 those, I can't offer how exactly they are to be
3 placed, but essentially it is a mesh, a wire mesh
4 galvanized basket with rock in it. That's the
5 extent of it.

6 MR. RAINING BIRD: How long, do you
7 know how long that takes?

8 MR. GAWNE: To actually place those
9 rocks or to place the gabions?

10 MR. RAINING BIRD: Yes, to do what was
11 done in the left photo there, how long
12 approximately would that take?

13 MR. GAWNE: I couldn't answer that,
14 sorry.

15 MR. RAINING BIRD: Does anyone in the
16 back know?

17 MR. HUTCHISON: Actually, I believe
18 this particular work, because there weren't a lot
19 of -- those are called field stones, they weren't
20 right in that island area or peninsula, so they
21 had to be brought in. So it did take a fair bit
22 of work to haul rocks in boats, bring it over to
23 the site. I can't tell you how long this
24 particular work took, but from what I understand
25 it was a pretty major undertaking.

1 MR. RAINING BIRD: Thank you. And
2 when you are looking at something like that, is
3 that done with habitat biodiversity or esthetics
4 in mind?

5 MR. SWEENEY: The rocks would be local,
6 however, I think I know where you are going in
7 your point with this. This was done in the
8 earlier years, and we have heard from Cross Lake
9 First Nation and some of the elders, with this
10 specific site, that the esthetics of it wasn't
11 consistent with what traditionally -- or not
12 traditionally, but how they liked it. So this is
13 a later picture, but some other, another area
14 showed -- like we changed the process after these
15 rocks were put in, in this gabion basket. And I
16 understand there was another -- some additional
17 measures that were taken to try and address the
18 esthetics parts of it. So one of the new pictures
19 that we have is some of the -- so when the rocks
20 are collected locally, they usually involve the
21 involvement of the local people from the area. So
22 this would have been covered up, this was the
23 picture itself, there is another picture that
24 would show that it is actually covered up a little
25 bit better than that.

1 MR. RAINING BIRD: Thank you.

2 And in terms of the riparian habitat,
3 would you agree that this would not be the most
4 conducive or most beneficial to preserve a
5 riparian habitat?

6 MR. SWANSON: I guess you are saying
7 it is not ideal, and I think that's probably
8 agreed. The methods are typically used to try and
9 stop the erosion process, to arrest it so that
10 there isn't more damage. It is not always, it is
11 not always a bad thing from a biodiversity
12 perspective if the shorelines are typically softer
13 materials and you have -- as long as it is not
14 like a continuous, if you add some rock in there,
15 it actually brings some habitat diversity and can
16 increase diversity with the spaces between the
17 rocks providing room for more and different kinds
18 of bugs. So it is not all bad, but I think the
19 goal, the objective is to protect what is there
20 and that's --

21 MR. RAINING BIRD: So, of course, that
22 would have been explained and done in conjunction
23 with the community members, that decision to
24 proceed in that manner?

25 MR. SWANSON: Yeah. I don't recall

1 the specific time of this work itself.

2 MR. RAINING BIRD: But generally
3 speaking, you would expect that any decision of
4 this nature would be done in conjunction with
5 community members; is that correct?

6 MR. SWEENEY: Oh, for sure. For sure
7 there is no doubt that any time it involves a
8 burial site of that nature, it would definitely be
9 in conjunction with the community. One of the
10 priorities, when we do find a site, is to consult
11 with the community and elders. And the first
12 priority when it is identified is to protect the
13 site. So we protect the site, and then more work
14 is done to expand on that protection. But it
15 would always be in conjunction with the First
16 Nation community, definitely, in this case Cross
17 Lake.

18 MR. RAINING BIRD: Thank you.

19 MR. SWEENEY: Can I just elaborate?
20 Are you going to be moving on to another topic?

21 MR. RAINING BIRD: Yeah, I'm going to
22 be moving on so...

23 MR. SWEENEY: Okay. I just want to
24 clarify if you asked -- it was back to the reserve
25 land transfers, did you ask me the question if all

1 land has been transferred, or was your question
2 specific to was there any land transferred?

3 MR. RAINING BIRD: The question was,
4 had they received their entitlement under the NFA?

5 MR. SWEENEY: So, yeah, my answer was
6 no. But I do know there was some work and some
7 parcels were transferred, but not all of the land
8 was transferred. I just wanted to clarify that.

9 MR. RAINING BIRD: Okay, thank you.

10 In terms of pages, slides 141, 143 and
11 146, just briefly, these deal with more specific
12 programs, I believe the safe ice program,
13 waterways management programming, and then a
14 training program for Aboriginal youth and jobs
15 related to LWR. And my question is just, are
16 there comprehensive reports for all of these
17 programs detailing the success and the
18 achievements?

19 MR. SWEENEY: So, in relation to your
20 question regarding the safe ice trail program,
21 there is an annual report. In relation to your
22 question, has it pertained to communications, we
23 do provide the monthly water level forecasts and
24 any advisories as that pertains, whether there is
25 some reportings on that. And in relation to your

1 question on the slide employment training and
2 business opportunities, yes, there is reporting on
3 that as well.

4 MR. RAINING BIRD: Thank you. If we
5 go to 160?

6 Now, would it be correct to say that
7 it is generally accepted that the Lake Winnipeg
8 drainage basin will get wetter in response to
9 climate change? Is that a correct statement?

10 MR. HUTCHISON: Yes. I guess our
11 climate change analysis does indicate that the
12 Lake Winnipeg watershed is expected to get wetter
13 with higher temperatures and more precipitation,
14 inflows.

15 MR. RAINING BIRD: So if it gets
16 wetter, does that mean the inflows, there will be
17 more downstream flooding as a result of wetter
18 conditions?

19 MR. HUTCHISON: What we have tried to
20 demonstrate as well as the inter-annual
21 variability in water flows right now is quite
22 extreme. So you have low water levels, high water
23 levels, climate change, scenarios that we have
24 looked at suggest that there will be increases,
25 but it will be small in relation to these

1 inter-annual variations.

2 MR. RAINING BIRD: Did you want to say
3 something?

4 MR. GAWNE: Yes. I think it might be
5 helpful to add that there is other effects in
6 addition to, I believe there will be other effects
7 in addition to changes to inflows, such as the
8 duration of the ice cover season and ice acting on
9 the outlets of Lake Winnipeg, or on the outlet of
10 Cross Lake will be potentially affected by climate
11 change as well.

12 MR. RAINING BIRD: So just to clarify
13 then, at a general level, a broader level, would
14 you agree that wetter, a wetter year results in
15 more downstream flooding generally?

16 MR. GAWNE: Certainly if the average
17 inflows to Lake Winnipeg are higher, then the
18 average water levels downstream will be higher.
19 Whether, you know, the inter-annual variability
20 that we've seen in 2005/06 or 2011, those extreme
21 flooding conditions, you know, those are when you
22 see the real extra dramatic flooding conditions
23 downstream and on Lake Winnipeg. So what we said
24 earlier is that we expected that variability will
25 kind of overshadow a progressive or a more slower

1 increase in water supply to Lake Winnipeg. So to
2 the extent that there is flood inflows into Lake
3 Winnipeg, there will be flooding downstream.

4 MR. RAINING BIRD: And so then
5 following from that, higher inflows equal higher
6 potential for power production?

7 MR. GAWNE: Not necessarily. But, you
8 know, if on average water supply conditions are
9 higher, then, you know, it follows that on average
10 hydraulic generation could potentially be higher.
11 But when we are talking about floods, as I was
12 explaining yesterday, and we are into that flood
13 range, Lake Winnipeg is above 715 and we are
14 releasing maximum discharge out of Lake Winnipeg,
15 that amount of water going down the Nelson River
16 exceeds the capability of the generating stations
17 to actually use that water in generation. So what
18 we are talking about is increased spillage of
19 water through those generating stations. So there
20 is not infinite capability to use the water.

21 MR. RAINING BIRD: I understand. So
22 absent the spillage, and the spillage to my
23 understanding occurs when you are at maximum
24 outflow and the power generators can't take in all
25 of the flow, right, essentially?

1 MR. GAWNE: Yep.

2 MR. RAINING BIRD: But absent that on
3 a more general level, the wetter, the wetter the
4 year the longer the influence on average, the more
5 power production is possible?

6 MR. GAWNE: Yes, on average. If the
7 severe floods are more severe though, you won't
8 necessarily get more generation.

9 MR. RAINING BIRD: You lose the
10 spillage?

11 MR. GAWNE: Yep.

12 MR. RAINING BIRD: Okay, thank you.
13 If you go to 195.

14 Now, again, we are back to this
15 balance question. So when we were discussing
16 earlier in terms of a balance, I think you've
17 stated, Mr. Cormie, that the balance at the time
18 of the project, they had to strike a balance.
19 That's correct?

20 MR. CORMIE: Yes.

21 MR. RAINING BIRD: And again to keep
22 going back to this, but we were talking earlier
23 and you stated that in terms of applying for
24 renewal of the licence, at that point we would
25 need to strike -- come up with a modern balance.

1 And as part of that I think you agreed that a road
2 map or guidance would be beneficial. Is that
3 correct?

4 MR. CORMIE: Yes, I agreed to that
5 because it is hard to make a modern balance
6 without having all of the information. And the
7 road map involves identifying the issues that are
8 still contentious, the new problems that we are
9 facing, collecting the information around that,
10 getting input to that process, and so that when
11 government makes the decision in the future about
12 how the licence will be renewed and on what terms,
13 that information is available so that public
14 policy decisions can be made.

15 And, you know, Manitoba Hydro would
16 like to go into that process with being able to
17 provide that. Being the applicant for the renewal
18 licence, the onus is on us to bring forward a case
19 that we don't want to fail in that process, we
20 want to be successful, and I don't think that
21 anybody wants to be surprised by the outcome. So
22 I think a road map to help us get to where we
23 would like to go, and with government involvement,
24 would be very helpful to the utility.

25 MR. RAINING BIRD: So then in that

1 sense would you agree that Manitoba Hydro has been
2 operating under a different road map for the last
3 40 years?

4 I should clarify that. It has been
5 operating under -- and I will start over. If when
6 we are talking about what you deem a road map is
7 guidance from Manitoba, the government, then in
8 that sense would you agree that Manitoba Hydro has
9 been operating on a road map up to this point, and
10 that the main, you know, identifiers are those --
11 are the licence, it has been operating on a road
12 map that's determined by the conditions listed in
13 the licence?

14 MR. CORMIE: When it comes to new
15 projects the requirements are quite clear. The
16 legislation is there. The standards are well
17 known. And we can go into a process like we have
18 just gone through with Keeyask having met or
19 exceeded those requirements. We are now getting
20 into the time period where we are approaching
21 renewal for major initiatives like Lake Winnipeg
22 Regulation, and I think it would be presumptuous
23 to assume that renewal is a fait accompli, that
24 would be like having a permanent licence, and I
25 think renewal may be more than that. It is making

1 sure that there is -- that the project is still in
2 the public interest in all of its aspects.

3 MR. RAINING BIRD: Okay, I understand,
4 but would you agree that to the extent that we can
5 talk about a road map as being a function of
6 government guidance toward -- to Manitoba Hydro as
7 to how it is to operate, then in that sense the
8 road map that Manitoba Hydro has been following up
9 to this point has been determined by the
10 conditions on its interim licence?

11 MR. CORMIE: Yes, to date we have been
12 operating under the licence, we have been abiding
13 by that. And that's the basis of our actions with
14 regard to this project. But although the licence
15 has been relatively stable and the world around us
16 is evolving and we are learning new things, our
17 social licence to continue to operate as if we
18 were still back in the 1970s is changing, the
19 standards are changing, and I think this is a
20 great opportunity to review all of that. And I
21 think that's what is contemplated when it comes to
22 renewal.

23 MR. RAINING BIRD: As you stated,
24 Manitoba Hydro would consider it beneficial to, in
25 the form of further guidance and in terms of

1 potentially preparing for licence renewal,
2 Manitoba Hydro would find it valuable to engage in
3 the types of studies that we have discussed here
4 today, and those would be monitoring, you know,
5 the effects on riparian habitat, things like that,
6 all of that would be valuable information for
7 Manitoba Hydro in engaging in this road, in this
8 map on this road to the possible renewal of a
9 licence?

10 MR. CORMIE: I believe that it is
11 clear when you come to specific areas there are
12 gaps in our knowledge. And I think rather than
13 just dealing with those gaps and concerns on an ad
14 hoc basis and hoping that that is sufficient to
15 get us through the renewal process, that a broader
16 perspective is looked at, and that there is a
17 process laid out so that to the extent that there
18 are gaps, and we talked about some of those today,
19 that we get enough information so that when
20 renewal comes up we've addressed those issues. We
21 have enough information that the government can
22 provide Manitoba Hydro a renewal licence that's
23 appropriate, given the state of knowledge. It is
24 not going to be possible to do an environmental
25 impact statement on the project because it is not

1 a new project. We don't have the base line data,
2 but there are identified gaps in our knowledge,
3 and I think we have time now before we get to the
4 renewal date to try and close those gaps. And so
5 that when we do re-licence, to the extent that the
6 licence has to reflect any change that's required
7 to help make things better, we are in a position
8 to provide that information and have government
9 grant us a licence, having considered all of the
10 issues.

11 MR. RAINING BIRD: So then if you
12 agree that up until this point licence conditions
13 have been -- has served as the primary form of
14 guidance for how Manitoba Hydro has operated, and
15 if you agree that more guidance in the form of
16 what studies, impacts, assessments would be
17 necessary going forward, up until the point of
18 renewal or possible renewal, then would not
19 Manitoba Hydro welcome, or at least not oppose,
20 additional terms and conditions on the current
21 licence that may require such studies to be
22 undertaken?

23 MR. CORMIE: Well, I think the studies
24 are ongoing regardless of whether it says they are
25 required in the licence. The licence isn't the

1 only guiding document for Manitoba Hydro's
2 activities, we have the Northern Flood Agreement,
3 we have our relationship with every stakeholder.
4 That interaction and that dialogue is shaping the
5 work that gets done. And so the licence is only
6 one aspect. It doesn't address the whole thing,
7 it just says from the Water Power Act perspective
8 this is what you have to do. And there is a bunch
9 of other -- there are other areas that are
10 addressed through our requirements and our
11 relationships, and we can't just look to the Water
12 Power Act licence to provide all of that guidance.

13 So I think, you know, we have talked
14 about these ongoing discussions between the
15 communities and Manitoba Hydro. Clearly that puts
16 the issues on the table. The outcome of those
17 discussions will help shape the studies that might
18 need to be done so that additional issues are
19 addressed. And that's happening in spite of what
20 the Water Power Act licence says.

21 MR. RAINING BIRD: But you would agree
22 that one manner of providing that guidance would
23 be through additional conditions, that would be a
24 way of providing guidance as we just discussed it,
25 wouldn't it?

1 MR. CORMIE: It could be a way of
2 doing that. My thoughts today are that it is
3 premature to jump to conditions because I don't
4 know that we understand the implications of
5 changing the licence. One of the sensitivities
6 that we have done is to look at going to 714
7 instead of 715. There is a sense that that would
8 help the flooding issue on Lake Winnipeg. I think
9 that's -- it is premature to say that's how the
10 lake should be regulated from now on. I don't
11 think now is the time to make those changes to the
12 licence. The review process and the renewal
13 process is an opportunity to look at it on a
14 comprehensive basis, and then create a renewal
15 licence that represents a new balance, knowing
16 that there is many stakeholders that have an
17 interest in the regulation, not just a single
18 stakeholder.

19 And so I'm suggesting at this time,
20 and as a result of this process, to say the
21 licence needs to be revised or it needs to have
22 new conditions is premature. I am not saying that
23 the licence eventually could have different terms
24 and conditions, that might be the outcome of the
25 renewal process, but I don't think today, I don't

1 think that we have enough information to suggest
2 that a licence change now has fully understood all
3 of the implications for every stakeholder. We are
4 at that point where we can say this is the right
5 thing to do and strike a new balance as a result
6 of this process.

7 MR. RAINING BIRD: Thank you. Those
8 are all of my questions.

9 THE CHAIRMAN: Thank you, Mr. Raining
10 Bird. Now we have three more groups, or two more
11 groups and one individual to cross-examine.
12 Keewatinook Fishers and Peguis First Nation, and
13 one member of the public and additionally this
14 panel. Now we certainly won't get through all
15 three of those this afternoon. This panel will be
16 back next Wednesday and possibly Thursday, if
17 necessary. If any of those three groups can
18 guarantee me that their questions will last 15
19 minutes or less, I will do it today. If not, we
20 will wait until Wednesday. Ms. Whelan Enns.

21 MS. WHELAN ENNS: Mr. Chair, I was
22 asked to pose the questions for the Keewatinook
23 Fishers, but I think it is preferable for their
24 expert to do that on Wednesday.

25 THE CHAIRMAN: Thank you.

1 MS. WHELAN ENNS: May I ask, does that
2 mean top of the morning or -- I would like to
3 relay to Dr. Ballard when that's likely to be.

4 THE CHAIRMAN: I think if you consult
5 with Commission secretary after we adjourn she can
6 help you in that regard.

7 MS. WHELAN ENNS: Thank you very much.

8 THE CHAIRMAN: Mr. Stevenson, will you
9 be brief?

10 MR. STEVENSON: Very brief.

11 THE CHAIRMAN: Come forward then.
12 Just introduce yourself for the record and then
13 proceed.

14 MR. STEVENSON: Good afternoon,
15 Mr. Chair, my name is Lloyd Stevenson, I'm here on
16 behalf of Peguis First Nation. Most of the
17 questions have been asked that we want to talk
18 about, but we do have a few questions that we need
19 to get clarified. So I will be asking the panel
20 general, not particular to one individual, but
21 certainly the panel as a group.

22 I want to refer to the Netley-Libau
23 marsh located near the mouth of the Red River. In
24 your comments earlier this morning you've
25 indicated that Netley Marsh should be

1 re-considered and perhaps put back on the table,
2 is that correct, in your questions to the
3 Consumers Association?

4 MR. HUTCHISON: Can you clarify what
5 that means, by put back on the table?

6 MR. STEVENSON: I think he asked if
7 there was enough work done on the Netley Marsh
8 Libau area and I think you said we might have to
9 look at doing further work in that area.

10 MR. HUTCHISON: I believe that what I
11 said is we supported the Lake Winnipeg Foundation
12 which is looking to work with all marsh
13 stakeholders, including Peguis from what I
14 understand, on what marsh rehabilitation options
15 would be going forward to work with the
16 stakeholder group, and this group does involve
17 many scientists, Dr. Goldsborough amongst them, as
18 well as other stakeholders.

19 MR. STEVENSON: Looking at the -- well
20 you call the Netley marsh, Netley being on the
21 west side of the river, and Libau marsh on the
22 east side, is that how you categorize it?

23 MR. HUTCHISON: That's how I
24 understand it.

25 MR. STEVENSON: You are partly aware

1 of the history of Peguis in terms of where they
2 settled at Netley back in the late 1700s, where
3 Chief Peguis and his tribe I guess used that as
4 the St. Peter's settlement?

5 MR. HUTCHISON: Yes, I had a good
6 teacher. I understand that was yourself.

7 MR. STEVENSON: You are also aware
8 that at the present time there are some pockets of
9 reserve lands in the Netley marsh area?

10 MR. HUTCHISON: That's my
11 understanding. There is a fishing station in
12 particular.

13 MR. STEVENSON: Yes, that's Peguis 1A,
14 that's located closer to Matlock, but there are
15 also other lands near Goldeye Lake area that are
16 currently Peguis reserve lands. Are you aware of
17 those?

18 MR. HUTCHISON: I am not aware of all
19 of the details, but I do understand that Peguis
20 has a large interest in the area.

21 MR. STEVENSON: Understanding that
22 Peguis has an interest in the area, are you aware
23 that Peguis members have continued to exercise
24 their Aboriginal and treaty rights, including
25 hunting, fishing, trapping in that area?

1 MR. HUTCHISON: Anecdotally through
2 what I have heard of the use of the area, as you
3 described, yes.

4 MR. STEVENSON: If that is correct,
5 has Manitoba Hydro taken any steps to protect
6 those treaty and constitutional rights that belong
7 to Peguis members in that area?

8 MR. HUTCHISON: I don't believe that
9 we have. I'm not sure how -- how it would come
10 upon Manitoba Hydro to be protecting treaty and
11 Aboriginal rights on that particular area.
12 Perhaps you can elaborate.

13 MR. STEVENSON: Whenever you impact a
14 certain right, you have to make sure you try not
15 to abrogate that right, that's basically a given
16 for any government or departments that belong to a
17 government.

18 MR. HUTCHISON: Fair enough. And I
19 think what we have tried to demonstrate in our
20 presentations is that Manitoba Hydro's influence
21 to Lake Winnipeg Regulation project on Lake
22 Winnipeg is that we've reduced the average water
23 level and the extreme flood peaks that used to
24 occur on the lake.

25 MR. STEVENSON: In your reference

1 material, I believe that the -- there is greater
2 water surface in the last three years compared to
3 I believe information provided by Mr.
4 Goldsborough, he made reference to land surfaces
5 between certain years?

6 MR. HUTCHISON: I think you are
7 talking about the areas in the marsh, how there is
8 more -- I think you are -- that there is more open
9 water area?

10 MR. STEVENSON: That's correct.

11 MR. HUTCHISON: Yes, that's my
12 understanding.

13 MR. STEVENSON: So, I don't know
14 whether Manitoba Hydro has addressed this unique
15 situation because it may have impacts on the
16 medicines that Anishinabe people harvest in that
17 area. Certainly when you have more water surface
18 it takes away from certain medicines that grow
19 near the shore and for people to collect
20 medicines. For example, we do have a medicine
21 called Weekis that we use for our systems, and if
22 you have greater water surface, that would take
23 away the natural habitat of that particular plant.
24 So I'm just wondering if that's the case, how
25 would Manitoba Hydro address a situation like

1 that?

2 MR. HUTCHISON: Well, what we've --
3 also what I tried to present is that there are I
4 think I listed about eight or nine factors that
5 are affecting the marsh, and the largest factor
6 that we understand that affected this switch to
7 more open waters in the Netley side is the Netley
8 cut that was done in 1913 by the Federal
9 government. So what we are looking to do is work
10 with all of the different marsh stakeholders to
11 see what is a way to bring back -- to restore the
12 marsh so that it can deliver these goods and
13 services such as medicinal plants.

14 MR. STEVENSON: So when you are
15 looking at stakeholders would that include rights
16 holders such as Peguis First Nation?

17 MR. HUTCHISON: We are not in charge
18 of who is brought in, but my understanding is that
19 the Lake Winnipeg Foundation is looking to involve
20 all stakeholders.

21 MR. STEVENSON: Aren't you providing
22 some of the funding for the foundation?

23 MR. HUTCHISON: That's true. And I
24 would say that we, in my role, I have encouraged
25 the Foundation to make sure that they do include

1 as many stakeholders as they can, in particular
2 First Nations.

3 MR. STEVENSON: Could we put Peguis on
4 the list then?

5 MR. HUTCHISON: I can definitely pass
6 that on.

7 MR. STEVENSON: Thank you. We had a
8 number of information requests that were sent
9 through the system. I want to refer to one sent
10 by Peguis First Nation, it is number 0030. It has
11 to deal with the shoreline erosion and the
12 monitoring of those lands. The answer that came
13 back from Manitoba Hydro is that they do not
14 monitor shoreline erosion, and that would also
15 include Indian lands that are situated near or at
16 the shores of Lake Winnipeg.

17 I find it strange that Manitoba Hydro
18 would recognize the erosion and loss of land for
19 communities north of 53, for example, those along
20 the Nelson River system. You do have Northern
21 Flood Agreements with basically five bands up
22 there that recognized erosion and perhaps
23 compensation for land on a ratio 4 to 1. This
24 morning you did agree that the Jenpeg dam did
25 create some erosion on lands along Lake Winnipeg,

1 I believe it was a question put by one of the
2 participants this morning, and you did agree that
3 there was some erosion, but you didn't say to what
4 degree, whether it was 10 per cent, 20 per cent or
5 whatever, you just said some. So I guess we will
6 accept some as being, you know, we don't have an
7 exact number.

8 MR. HUTCHISON: Sorry, Mr. Stevenson,
9 I don't believe we did say there was any erosion
10 on Lake Winnipeg. I appreciate there is 2-mile
11 channel and there would be erosion associated with
12 that, but I don't believe we talked about --

13 MR. STEVENSON: The question was
14 general, did Jenpeg contribute to any erosion, and
15 you said it was minor. I think that was your
16 response. You didn't say whether it was 2-mile or
17 8-mile or Ominawin or whatever. I understand --

18 THE CHAIRMAN: Can we review the
19 transcripts over the next few days and come back
20 to it on Wednesday?

21 MR. STEVENSON: Sure. I guess my
22 question is if in fact it did include lands around
23 Lake Winnipeg, I'm just wondering whether Manitoba
24 Hydro is aware that there is certain reserve lands
25 that might be affected through erosion, whether it

1 is caused by the Jenpeg dam or not, and I think
2 that has to be recognized in terms of when the dam
3 was built. You just can't look at the impacts on
4 the Nelson River, but also the impacts that are
5 part of the what we call the reservoir, which is
6 Lake Winnipeg, and which is part and parcel of the
7 same system, it is just that it is a little bit
8 further south and close to the -- where the dam is
9 located.

10 MR. HUTCHISON: Is that a question
11 or --

12 MR. STEVENSON: Yeah, we want to look
13 at the impacts I guess not just on the river
14 system itself, the Nelson River, but certainly the
15 impacts at the reservoir level. You know, Lake
16 Winnipeg has been turned into a reservoir and as
17 such the implications of a reservoir indicate to
18 us that certain levels -- the levels of the
19 reservoir would be elevated to maintain the energy
20 requirements at Jenpeg. And whenever you have
21 elevated water levels, what do the water levels do
22 to the shoreline and to lands that abut Lake
23 Winnipeg or the reservoir? I'm just wondering
24 whether Manitoba Hydro has considered those
25 impacts?

1 MR. HUTCHISON: I think I would like
2 to comment on the use of the word reservoir. Lake
3 Winnipeg is a natural reservoir. Actually in our
4 Lake Winnipeg Regulation document we actually
5 include a quote from Dr. Al Kristofferson, where
6 he said that Lake Winnipeg is not a typical
7 reservoir, it is not like Lake Mead on the
8 Colorado River which impounded a huge river by
9 several hundred feet. And he also goes on say to
10 say there is times when Lake Winnipeg is actually
11 not a reservoir at all. Any time we get over
12 elevation 715, we are at maximum discharge, we are
13 actually removing water from the lake that would
14 have been there naturally. So it is not a typical
15 reservoir.

16 And to get back to your question on
17 erosion, because of the flood relief benefits that
18 are associated with Lake Winnipeg Regulation
19 project, we can demonstrate that we keep the
20 average water level lower, especially in this wet
21 period and the flood peaks lower. Our
22 understanding is that maximum erosion occurs with
23 a combination of high water levels and high winds,
24 and so to the degree that we have kept water
25 levels lower, we should be having beneficial

1 impacts at reducing erosion, and we have no reason
2 to believe that erosion rates have increased since
3 LWR came along. That's the whole basis behind why
4 we haven't done erosion studies or erosion
5 monitoring on the lake.

6 MR. STEVENSON: That's fine. I'm sure
7 there is some fishers who make a living on Lake
8 Winnipeg would probably say otherwise in terms of
9 their observations because, you know, they are
10 part -- they are on Lake Winnipeg just about every
11 day, that's their livelihood. And usually when
12 you, like a farmer on his land, you notice how the
13 land is when you farm, and when you fish out of
14 Lake Winnipeg you notice the differences that
15 happen where you make your living, especially for
16 the fishermen.

17 But I guess we will probably present
18 something in terms of the observation of the
19 fishermen that happen on Lake Winnipeg itself.

20 I want to get back to information
21 requests by Peguis First Nation, it is 0035. It
22 has to deal with the agreements that Manitoba
23 Hydro spoke of. And I imagine those agreements
24 are relative to the communities that are on the
25 Nelson River system, because in looking at those,

1 at the information that you have presented, I
2 really couldn't find any reference to any
3 agreements for communities on the Lake Winnipeg
4 basin, along the shores of Lake Winnipeg. And if
5 there is, could you give me an example of any
6 agreements, other than Grand Rapids, which they
7 have their unique agreement based on the Grand
8 Rapids dam, but other communities say on the east
9 side or west side of Lake Winnipeg, if any, do
10 exist?

11 MR. HUTCHISON: That's absolutely
12 correct, we do not have any agreements with any
13 communities on Lake Winnipeg, other than those
14 that would be like Grand Rapids for the
15 Saskatchewan River or Sagkeeng, for instance, on
16 the Winnipeg River, but nothing related to Lake
17 Winnipeg and our operation of Lake Winnipeg
18 Regulation.

19 MR. STEVENSON: So you are saying
20 there is one for Sagkeeng or there is one being
21 developed?

22 MR. HUTCHISON: You are absolutely
23 correct, there is one being developed, discussed.

24 MR. STEVENSON: If you were to
25 consider an agreement for the communities along

1 the north and south basin of Lake Winnipeg, would
2 you look at a similar agreement that you have for
3 the NFA, for example, the 4 to 1 ratio for loss of
4 land, that is just one thing to consider?

5 MR. HUTCHISON: Sorry, the question is
6 would we consider doing an agreement, like a 4 to
7 1 land exchange provision in the NFA for
8 communities on Lake Winnipeg, is that it?

9 MR. STEVENSON: Yes.

10 MR. HUTCHISON: We would not, because
11 we look at the influence that we have got on Lake
12 Winnipeg, and there is no basis to look at
13 compensation if we are not having a negative
14 effect. Downstream of Lake Winnipeg, we know we
15 have got adverse effects that do affect erosion,
16 loss of lands, therefore, we have entered into
17 arrangements to address that effect that we agree
18 with.

19 MR. STEVENSON: I guess for the north
20 you do recognize that there is a need for
21 compensation or some kind of agreement to deal
22 with those communities, but at this point in time
23 you are not convinced that there needs to be an
24 agreement for the southern communities, is that
25 correct?

1 MR. HUTCHISON: That's correct.

2 MR. STEVENSON: Okay. In your
3 response to the Consumers Association this
4 morning, you agreed that ATK would be a valuable
5 component to be a part of the overall operation of
6 the Lake Winnipeg Regulation; is that correct?

7 MR. HUTCHISON: I believe we said ATK
8 can provide valuable information on Lake Winnipeg.
9 Like, if you look at downstream where we
10 acknowledge that we have got adverse effects, we
11 have entered into studies, particularly with our
12 new developments, because we recognize that the
13 ATK can add a lot of value to understanding how to
14 address adverse effects.

15 MR. STEVENSON: Okay. How do you see
16 ATK being brought into the overall plan,
17 especially for the Anishinabe around Lake
18 Winnipeg?

19 MR. HUTCHISON: It is difficult for me
20 to understand how it would be brought into the
21 overall plan, but I do know in my discussions with
22 First Nations around the lake that there was a
23 wealth of information on how people use the lands
24 and the water. There are a lot of effects on Lake
25 Winnipeg right now, and I think that that

1 information would be useful in trying to -- for
2 the people and stakeholders that are looking at
3 trying to improve the health of the lake. There
4 are also -- I believe there is over 30 Aboriginal
5 communities around the lake, so I think one of the
6 issues would likely be in trying to figure out how
7 to get all of that information together.

8 THE CHAIRMAN: Mr. Stevenson, we have
9 to adjourn now. You are welcome to come back on
10 Wednesday and continue your cross-examination.

11 MR. STEVENSON: Okay, that's fine. I
12 had two questions left.

13 THE CHAIRMAN: Are they short
14 snappers?

15 MR. STEVENSON: Yeah.

16 THE CHAIRMAN: Go for it then.

17 MR. STEVENSON: In IR 104 by Peguis
18 First Nation dealing with fishers, Manitoba Hydro
19 indicated they had sampling of fish at three
20 locations on Lake Winnipeg. I'm just wondering if
21 you could indicate exactly where those three
22 locations are?

23 MR. SWANSON: The question, as I
24 recall, and the answer related to CAMP sampling
25 which was in the north basin of Lake Winnipeg,

1 there would be a location on the west side of the
2 lake towards Grand Rapids, and then another spot,
3 another location over on towards Mossy Bay by
4 Norway House, and then there was fish sampling as
5 well that was included. It wasn't the full suite
6 of CAMP protocols down towards the mouth of
7 Dauphin River, Sturgeon Bay.

8 MR. STEVENSON: Okay. Thank you.

9 Another IR dealing with Peguis First Nation is 119
10 dealing with ice thickness. Manitoba Hydro
11 indicated that ice thickness was not considered.
12 I'm just wondering why it wasn't, because ice and
13 water are part of the same H₂O, one is liquid, one
14 is a solid. And if thickness is not considered,
15 how do you measure the height of the water if ice
16 is not used? Is it just below the ice, or is it
17 above the ice? I'm not sure. That was kind of
18 confusing.

19 MR. GAWNE: Yeah, in terms of the
20 water content in the ice, as the ice is floating
21 on the water it will impact essentially the
22 pressure in the water, and we will be measuring
23 that through all periods of the winter. So to the
24 extent that there is snow and ice on the lake, we
25 are measuring that, but we are not necessarily

1 concerned specifically with the thickness of the
2 ice on Lake Winnipeg. As Mr. Cormie I believe had
3 explained earlier, certainly we are monitoring the
4 ice conditions at the outlet of Lake Winnipeg and
5 how that's affecting the discharge from Lake
6 Winnipeg.

7 MR. STEVENSON: So rather than
8 thickness you are looking at weight then of it?

9 MR. GAWNE: It is a water pressure
10 based measurement. You know, there is various
11 technology that is used to measure water level in
12 a lake. The Water Survey of Canada gauges I
13 believe have pressure sensors that will basically
14 determine what the level of the water is. And
15 much like if you had a glass of water and you put
16 some ice in it, it would measure the level of the
17 water surface.

18 MR. STEVENSON: Okay. One final
19 question. You've indicated there was a sampling
20 of fish at Sturgeon Bay area, near Dauphin River
21 area, would that be part of the CAMP program?

22 MR. SWANSON: Yes, it is one of the
23 spots where I believe it is Manitoba Conservation
24 sampling that is done according to the CAMP
25 protocol.

1 MR. STEVENSON: Okay. Those are my
2 questions. Thank you.

3 THE CHAIRMAN: Thank you. Thank you,
4 Mr. Stevenson. That brings us to the end of week
5 one in Winnipeg. We meet again Monday morning at
6 9:30 at the Fort Garry Hotel, not here. We are on
7 the seventh floor of the Fort Garry Hotel on
8 Monday. And on Monday and Tuesday next week we
9 will be presenting the expert witnesses that the
10 Commission has, the Commission has commissioned to
11 make presentations. You have all received written
12 copies of those presentations. They will be
13 presented on Monday and Tuesday, and there will be
14 opportunities to cross-examine those witnesses. I
15 think that's it. There is nothing --

16 MS. JOHNSON: There is a couple of
17 documents that were referenced in last evening's
18 presentations, so I just thought I better put them
19 on the record for everyone. They are the Save the
20 Lake Winnipeg Project letter that was provided
21 during the scoping meeting, and that will be WPG
22 number 10, as well as the submission from Manitoba
23 Association of Cottage Owners as of May 28, that
24 will be WPG 11. And just to make sure we are on
25 the record, the material handed out by CAC this

1 morning will be CAC number 1.

2 (EXHIBIT WPG 10: Save the Lake
3 Winnipeg Project letter that was
4 provided during the scoping meeting)

5
6 (EXHIBIT WPG 11: Submission from
7 Manitoba Association of Cottage Owners
8 as of May 28)

9
10 (EXHIBIT CAC 1: Material handed out
11 by CAC)

12

13 THE CHAIRMAN: Thank you. Anybody
14 else have any pressing business? We are
15 adjourned. See you Monday morning.

16 (Concluded at 4:35 p.m.)

17

18

19

20

21

22

23

24

25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed
Official Examiners in the Province of Manitoba, do
hereby certify the foregoing pages are a true and
correct transcript of my Stenotype notes as taken
by us at the time and place hereinbefore stated to
the best of our skill and ability.

Cecelia Reid

Official Examiner, Q.B.

Debra Kot

Official Examiner Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.