

MANITOBA CLEAN ENVIRONMENT COMMISSION

LAKE WINNIPEG REGULATION REVIEW

UNDER THE WATER POWER ACT

VOLUME 8

* * * * *

Transcript of Proceedings
Held at RBC Convention Centre
Winnipeg, Manitoba
MONDAY, MARCH 23, 2015

* * * * *

APPEARANCES

CLEAN ENVIRONMENT COMMISSION

Terry Sargeant - Chairman
Edwin Yee - Commissioner
Neil Harden - Commissioner
Beverly Suek - Commissioner
Bill Bowles - Counsel to Commission
Cathy Johnson - Commission Secretary
Joyce Mueller - Administrative Assistant
Amy Kagaoan - Administrative Assistant
Phil Shantz - Advisor
George McMahon - Advisor
Bob Armstrong - Report writer

MANITOBA CONSERVATION AND WATER STEWARDSHIP

Rob Matthews
Puru Singh

MANITOBA HYDRO

Doug Bedford - Counsel
Janet Mayor - Counsel

CONSUMERS ASSOCIATION OF CANADA (Manitoba chapter)

Byron Williams - Counsel
Aimee Craft - Counsel
Gloria Desorcy

MANITOBA METIS FEDERATION

Marci Riel
Jasmine Langhan

MANITOBA WILDLANDS

Gaile Whelan Enns

PEGUIS FIRST NATION

Lloyd Stevenson

PIMICIKAMAK OKIMAWIN

Annette Luttermann
Darwin Paupanakis
Jeremiah Raining Bird
William Osborne

KEWATINOOK FISHERS

Meryl Ballard

NORWAY HOUSE FISHERMAN'S CO-OP

Keith Lenton

APPEARANCES

TATASKWEYAK CREE NATION
Sean Keating

INTERLAKE RESERVES TRIBAL COUNCIL
Cory Shefman

INDEX OF PROCEEDINGS

Presentation by Peter Zuzek (Baird & Associates)	1372
Questions by CEC Panel	1411
Presentation by Dr. Henry Venema (IISD)	1431
Questions by Mr. Bedford	1440
Questions by Mr. Williams	1446
Questions by Ms. Whelan Enns	1450
Questions by CEC Panel	1459

INDEX OF EXHIBITS

CEC 19	Mr. Zuzek's report on erosion and accretion	1469
CEC 20	Mr. Zuzek's presentation	1469
CEC 21	Nelson River Hydrologic Project historical document	1469
SUB 7	IISD paper	1469
WPG 18	IISD presentation	1469

1 MONDAY, MARCH 23, 2015

2 UPON COMMENCING AT 10:00 A.M.

3

4 THE CHAIRMAN: Okay, I think we are
5 ready to go.

6 Good morning. We have two
7 presentations today. First of all, we would like
8 to apologize for the half hour delay in getting
9 going. However, as most of us know, computers can
10 be very frustrating and even maddening at times,
11 especially when they won't work when they are
12 supposed to, or when they don't work when they are
13 supposed to. But we have a new computer and new
14 recorder and we are ready to go now.

15 First of all, I would just like to
16 remind people about cell phones. Please turn them
17 off. If you need to take a cell phone call,
18 please leave the room. Otherwise, we will throw
19 you out in the snowbanks.

20 First up this morning we have Peter
21 Zuzek from Baird and Associates, who will talk a
22 bit about erosion on Lake Winnipeg. Baird did a
23 paper for us, which was made available a number of
24 weeks ago, so I assume that we have all seen it.

25 First of all, Mr. Zuzek, we do swear

1 witnesses in, so I will ask the Commission
2 secretary to take care of that.

3 Peter Zuzek: Sworn.

4 THE CHAIRMAN: Thank you. And just go
5 ahead.

6 MR. ZUZEK: All right. Thank you,
7 Terry. Good morning everyone, and good morning to
8 those that are watching a video.

9 So the topic for the presentation
10 today is Lake Winnipeg erosion accretion
11 processes. And I think we are all very, very
12 familiar with the geography here. This map, I
13 think, really hits home the vastness of the
14 watershed that we are looking at, the issues with
15 respect to water supply and how that affects the
16 shoreline on Lake Winnipeg.

17 So as far as what we are going to do
18 today, cover seven pieces, talk a little bit about
19 Lake Winnipeg water levels, specifically why they
20 are important and how they are important to
21 shoreline evolution. We will talk about shoreline
22 types, erosion and accretion processes. A little
23 bit about erosion rates and context, and share
24 some thoughts with rates in other places in
25 Canada. And then a couple of case studies that I

1 would like to talk to you about today to further
2 explain the erosion processes and how water levels
3 influence erosion. And then finally, some
4 thoughts about further studies that could be
5 conducted here in Manitoba, if desired, and then
6 we will conclude with questions.

7 So a little bit about water levels,
8 and this is a graph or a version of it that I
9 think everyone has seen many, many times. And I
10 think the few key things that I want to just
11 reiterate as we get going here, what is important
12 for the work that we do with respect to shoreline
13 evolution, and how shorelines respond to
14 fluctuating water levels.

15 And when we look at this graph there
16 is obviously some key things that happened since
17 regulation started, and that's the range of water
18 levels has changed on Lake Winnipeg, the range has
19 been compressed. So prior to '76 we had much
20 higher highs and we had lower lows. And then the
21 shift here, once the regulation started in full
22 swing, we've compressed or narrowed the range of
23 water levels. And that really is the question as
24 to what are the influences of doing that on the
25 shoreline, and how does that potentially affect

1 shoreline evolution, shoreline erosion and
2 accretion processes.

3 And the next slide here is something
4 that I have borrowed from one of the other
5 reports, Hesslein. And it is an interesting graph
6 for me and the work that we do, it is from 1976 to
7 2012. The blue is what has been measured, so it
8 is the mean or wind surge eliminated level of Lake
9 Winnipeg, and you can see that it is bounced
10 around roughly between 711 and 715 with a couple
11 of exceedances. The red is the calculated, or
12 estimated level of the lake if regulation
13 structures hadn't been put in place. So if we
14 weren't regulating Lake Winnipeg, the flows were
15 still occurring in a natural way as they did prior
16 to 1976, what would have happened. So with that
17 hypothetical what would the water levels have been
18 had we not started to regulate Lake Winnipeg and
19 make the modifications to the outflows that we
20 did.

21 And there is, again, some key things
22 to note there, that while we had some exceedances
23 of 715 in the last decade or so, those exceedances
24 would have been even higher had the dam and
25 operations not been put in place. So, again, what

1 we see here from this graph is that we've
2 compressed the range, we have narrowed the range
3 that the water levels fluctuate now on Lake
4 Winnipeg.

5 Okay. A little bit about shore types,
6 and shore types are important because geology
7 matters. So when we start to think and talk about
8 how shorelines respond to water level
9 fluctuations, it's always important to start with
10 the geology. That's the framework for the
11 shorelines that we have, and how they respond to
12 fluctuating water levels does depend on their
13 geology. And by and large, bedrock shoreline like
14 we have here, this is on the southwestern tip of
15 Elk Island, is generally stable. There are some
16 very minor and slow erosion processes occurring,
17 but on a human life scale, they are very small and
18 barely measurable in many cases. So a shoreline
19 like this, the bedrock shorelines in Lake Winnipeg
20 are generally not sensitive to water level
21 fluctuations with respect to erosion.

22 And then we switch to the cohesive
23 shorelines, and we use the term cohesive to be a
24 broad category representing the consolidated
25 glacial settlements that we have in this basin.

1 And this is the case where the bank is quite low
2 here, a low plain type shoreline, but you can see
3 by the photograph that the entire near shore
4 consists of clay, as does the bank. And these
5 types of shorelines are very sensitive to water
6 level fluctuations, as we will talk about in a few
7 minutes.

8 There are also many locations where
9 you have these large sand deposits, and these are
10 different than dunes in that these are glacial
11 outwash deposits. They were formed during the
12 deep glacial period. So these are not modern land
13 forms, these sand deposits, they have been there
14 for thousands of years. And depending on the
15 elevation of those features and the elevation of
16 the lake, they tend to have an eroding profile to
17 them, much like a bluff or a cliff, but it is
18 important to understand that these sand deposits
19 have been in the region for a long time. So they
20 are not modern, they can be quite old, and they
21 are also sensitive to water level fluctuations.

22 And then we switch to depositional
23 beaches, beaches that are stable and creating
24 sand, and Grand Beach is a good example. The head
25 land here at the western end of the beach anchors

1 this deposit, the barrier beach system, it is
2 quite stable. It is also a very popular
3 recreational destination. It responds differently
4 to water levels because of its stable nature. And
5 so there certainly are changes to the beach as
6 water levels go up and down, but because it is
7 gaining sediment, there is a net accretion to this
8 beach in the long term, it is less sensitive to
9 water level fluctuations.

10 And then we get to the southern end of
11 the lake, and this is again a broad category here
12 that we refer to as muddy shorelines. And these,
13 again, are generally low profile shorelines.
14 Sometimes the sediments consolidate or are
15 partially consolidated. They are very dynamic,
16 they are changing.

17 I know the hearings also heard about
18 the influence of isostatic rebound and that impact
19 on the lake surface, and this is an area certainly
20 that is sensitive to the water level extremes and
21 very dynamic and changing.

22 So the last few slides are really just
23 to put in context some of the next discussions
24 here with respect to erosion, a few basics, and I
25 think just to sort of set the context. The first

1 one is that erosion is a natural process. Erosion
2 happens on almost all of the lakes in Canada, it
3 happens all around the world. This is not a
4 unique situation to Lake Winnipeg. It is also an
5 important part of creating the ecosystems that we
6 have around the lake. In a general sense, when
7 the forces associated with waves and currents
8 exceed the resisting properties of the soil, you
9 have erosion. And it is not really much more
10 complicated than that. When you have storm
11 events, those storms bring waves to the shoreline.
12 If there is more energy in that wave and the
13 currents than in the soil, it is going to erode
14 the soil and it is going to happen. That's again
15 not something that's unique to Winnipeg or Canada,
16 it is something that happens all around the world.

17 Water levels, a phrase that we like to
18 use a lot in the work that we do is that water
19 levels don't determine whether the shoreline will
20 erode or not, water levels determine where the
21 erosion will occur. And I will talk about that in
22 a few minutes with some slides. But it is a key
23 point here that the water levels are not the
24 trigger for erosion, it's waves and currents that
25 trigger the erosion process. And what water

1 levels do is moderate where that erosion process
2 occurs across the profile, or along the shoreline.

3 So, in other words, if you have very
4 low water levels, if you are below 711 and you
5 have a storm event, it doesn't mean that the
6 shoreline is not eroding. It is the bottom of the
7 lake that's eroding during those low lake levels.
8 So, in other words, the water levels are
9 moderating where the erosion occurs.

10 During the 2010 weather bomb in
11 October, we definitely had shoreline erosion on
12 Lake Winnipeg, and that was happening up on the
13 beach face and on the cliffs because the water
14 levels were so high.

15 Another key point I think just to sort
16 of set the stage here is that the Lake Winnipeg
17 shoreline eroded during the pre-regulation era.
18 So, not to be insensitive to the erosion issue
19 because I understand it is very important to many
20 people, but this is not something new or something
21 that started when regulation started.

22 The next graphic here is a schematic
23 that explains some of the things that I was just
24 talking about. This is for the cohesive or
25 glacial sediment shorelines that we have on Lake

1 Winnipeg. The one thing that has been well
2 documented in literature is that these profiles
3 tend to have a concave nature to them. So when
4 you take the shoreline and you slice down
5 perpendicular shore, and you measure -- and there
6 is a lot of vertical exaggeration in this
7 graphic -- but it has a concave shape to it in
8 that your near shore slopes upward and then you
9 have your cliff face here. What has been well
10 documented in literature is that as the shorelines
11 evolve, they maintain that shape, the shape of the
12 profile, because that's driven by the wave forces
13 and the water level fluctuations that you have.

14 So essentially the shape of the bottom
15 on the beaches is a direct result of the energy
16 environment, the water levels and the waves that
17 you have. Over time, if you happen to have
18 historical measurements, you will see that the
19 shape of that profile doesn't change dramatically
20 over time, it just migrates inland.

21 So that's what we are showing in this
22 graph, that in the deeper water, and in Lake
23 Winnipeg we are talking seven or eight metres,
24 there is still erosion of the bottom occurring,
25 but it is at a much slower rate than it is up at

1 the beach, as that entire shape of the profile
2 translates in a landward direction.

3 If I'm lucky we are going to make this
4 little picture work. Okay.

5 So I'm going to show this a different
6 way. All right. So this next little animation,
7 again, this is a cross section of the near shore
8 environment, this is eight metre depth out here,
9 we have a cliff here, this is from some work we
10 did on Lake Ontario, but the processes are the
11 same. It is showing you how these profiles evolve
12 over time. And it gets back to the graphic that I
13 showed you earlier, that while you have a lot of
14 erosion up at the cliff or at the top of the bank,
15 you also have this erosion occurring on the
16 bottom. We call that lake bed downcutting. And
17 the erosion on the lake bottom is a really
18 important driver, because that influences the
19 amount of energy that reaches the beach. So it is
20 this continuous erosion of the bottom over time
21 that allows these profiles to continue to migrate
22 landward and erode. If the bottom was stable for
23 a time, then eventually the beach would stop to
24 erode.

25 So this is just some output that comes

1 from one of the computer models that we use at
2 Baird. Again, you see there is a little bit of
3 erosion on the bottom here, it accelerates at the
4 beach level, and then it continues at the bluff
5 face.

6 Okay. So we are not really here to
7 talk about shoreline erosion today, but just to
8 put -- shoreline protection -- but to put things
9 in context, I think that is a nice companion
10 graphic. There are often many reasons to armour
11 shorelines, and often riparians like to armour
12 their properties as well. But when you have these
13 eroding cohesive shorelines with glacial
14 sediments, and you focus solely on stopping the
15 erosion at the beach, or at the back of the beach
16 where your cliff is, you don't do anything -- and
17 you might do that with a rock structure or a sea
18 wall -- you don't do anything to stop the erosion
19 in your near shore environment. And eventually,
20 as that continues to erode over time, you will get
21 undermining failures in these structures. These
22 structures fail.

23 The other factor, the change that
24 happens in the physical environment is that while
25 you might be successful at stopping erosion at the

1 bank or the bluff for a short amount of time, you
2 still have this lowering or downcutting process
3 out in front of the structure which makes the near
4 shore environment deeper. And if the near shore
5 environment is deeper, that allows larger waves to
6 progressively get into the beach and attack the
7 structure. So there is a cumulative effect there
8 that over time will eventually cause these
9 structures to fail.

10 Again, I'm not here to debate whether
11 we should or should not do this type of thing to
12 armour shorelines, but it is important to
13 understand that when you do this only at the
14 shoreline, or you use the shore parallel
15 structures, abutments and sea walls, they don't
16 last forever and they require a lot of
17 maintenance, because the lake bottom continues to
18 erode in front of them.

19 And just a last little couple of
20 slides here on this issue of the downcutting
21 process. There is an interesting dataset here
22 that I want to share with you. It comes from the
23 Lake of the Woods, and it really exemplifies this
24 impact of the wave erosion on the bottom and how
25 that works in concert with the erosion of the

1 cliffs as well. So this is a dataset that goes
2 back to 1917. We had a system that was in a
3 natural state pre-dam in this range, water levels
4 352 to 354. Then we had the post dam era. So a
5 structure was built to generate hydroelectric
6 power, the level of the lake was increased by
7 roughly 3 metres. And the site has some similar
8 conditions to Lake Winnipeg, which is why I wanted
9 to show it. It has a lot of these eroding sand
10 cliffs, which are common. It has the eroding
11 banks as well. And it also has some bedrock
12 shorelines that are very stable.

13 We did a lot of work collecting data
14 at these sites. This is a sample of one of the
15 erosion sites, some typical pictures. And this is
16 a profile. So we collected the depths of the lake
17 bottom, moving up into the beach environment, this
18 shows you, the lower panel here, the location of
19 the profile. And this gray line is the average or
20 the mean lake level prior to the dam and prior to
21 the raising of the lake surface. And you can see
22 that it had a bench, this concave nature, and then
23 a cliff. And then the whole system was changed
24 with the lake surface being increased by 3 metres.
25 And now at this site the waves are cutting a new

1 platform, and we have a new cliff here. So this
2 wave cutting of the bottoms was preserved at these
3 particular sites, and had the right elevation to
4 match the pre-regulation water level conditions.

5 And you can see it again on this site,
6 again, where you have -- these pictures are, the
7 red line, the bluff today, the black is today's
8 water level, the mean conditions generally, the
9 gray dashed line is the pre-regulation condition.
10 And you can see that there is almost an exact twin
11 of the site condition where you have the near
12 shore profile bench, or wave cut cliff, and of
13 course that used to go up here and back. Up goes
14 the water level by 3 metres and the waves are
15 cutting a new platform or bench across the
16 profile.

17 Okay. Slightly different track here
18 then and talk a little bit about accretion.
19 Accretion is an important process, beaches are
20 important for people. One of the things that I
21 often tell folks is that it is important to
22 understand where the sand comes from, and on Lake
23 Winnipeg the sand comes from shoreline erosion.
24 So there is an interrelationship here on these
25 glacial lakes such as Lake Winnipeg. It is the

1 same in the Great Lakes region. It is the same in
2 other parts across the prairies. When the
3 shoreline erodes, that's where the beach sediment
4 comes from. So if you completely stop erosion,
5 you shut down your sediment supply engine. So
6 there is an interrelationship there. Over time
7 portions of the shoreline on a lake like Lake
8 Winnipeg will erode, and the waves and currents
9 move that sand to a new location. So it is a
10 natural cycle, it is something that we see on all
11 of the glacial lakes.

12 Currents are important, waves and
13 currents. When the waves approach the shorelines
14 at oblique angles, they generate currents and
15 those currents push the sand and gravel along the
16 shoreline. So while it may erode it at one
17 particular site, the sand may end up somewhere
18 down the coastline because of the waves and
19 current regime at the site.

20 Again, I use Grand Beach as an example
21 because it is sort of a text book example where
22 you have that natural head land protruding from
23 the shore and trapping the sediment that's moving
24 down that coastline. And because this is a
25 positive or net gain of sand -- there you have the

1 dunes in the photograph here that are healthy,
2 growing and full of sediment.

3 And then another interesting little
4 case study here is some photographs from the
5 southern tip of Elk Island. And this stems from
6 some work that Baird has done for the regional
7 municipality of Victoria Beach, looking at the
8 evolution of the shoreline. So the top is again
9 that southern tip of Elk Island, sandy
10 environment. The photograph here in 1948, and
11 then a 2008 image, we have taken the shoreline
12 from 2008, which is shown in red here, and
13 superimposed it back on to the 1948 image to look
14 at changes. And it is quite clear there has been
15 some significant changes to the shoreline over
16 time. The sand spit is much larger today than it
17 was. We actually have this sort of system of dual
18 sand spits now. And then there has been a lot of
19 sand accumulation in this region as well.

20 And that sand didn't just magically
21 come from somewhere, it came from the eroding
22 shoreline. So I think as we look to the issues
23 along the shoreline, we look at management issues,
24 it is important to understand that where erosion
25 was occurring in one location, while that can be

1 perceived as a negative, it is a natural process
2 and it does deliver sediments to other regions,
3 which is a positive thing. So it is part of a
4 natural cycle, natural process.

5 All right. A little bit here now on
6 erosion and putting all of this in context. So we
7 know from -- well, to start, as many of you will
8 know, when we have erosion of a property we often
9 annualize that erosion by dividing by the number
10 of years. So if you lost ten metres of erosion
11 over a 10-year period, scientists, engineers, we
12 like to annualize that into a rate by, for
13 example, metres per year. So I'm going to refer
14 to these erosion rates as metres per year. It
15 doesn't mean that they always occur at those exact
16 increments per year, but it is a means to
17 categorize and compare the erosion rates at
18 different sites and within a lake system.

19 As we will see a little bit later, the
20 erosion process is generally driven by storm
21 events. So erosion is something that we certainly
22 wouldn't generally categorize as average, but for
23 the purpose of the comparison. So, from the
24 handbook that was put together several years back,
25 the review showed that on average the erosion

1 rates on Lake Winnipeg are .3 to .6 metres per
2 year. Some are going to be lower than that, and
3 there will be the odd location that's higher.

4 I want to skip to Lake Ontario, just
5 to put in context another freshwater lake, very
6 similar geology to Lake Winnipeg, similar size.
7 We have done a lot of work on this lake for the
8 International Joint Commission. It is a busy
9 graph, but focus on the red dots. So each one of
10 these red dots along the shoreline, which is the
11 Niagara shoreline of Lake Ontario, this is Niagara
12 Falls here, is a 1 kilometre segment where we
13 categorized the erosion rates, historic erosion
14 rates, we either measured themselves or done a
15 literature review to pull together information
16 from other sources. So we have done this around
17 the entire perimeter of the lake where we averaged
18 together the erosion rates on these 1 kilometre
19 segments. The next graph plots them all. So we
20 have the erosion rates along the Y axis here, the
21 positives are the erosion rates, zero up to a
22 couple of metres per year. The negatives, there
23 is a few negatives here, this lower tail of blue
24 diamonds where we have some accretion happening on
25 Lake Ontario, certainly not as much erosion as the

1 erosion sites. Then along the X axis here are
2 just the total number of 1 kilometre segments. So
3 we have upwards of 700 measurements where we
4 averaged things together on the 1 kilometre. What
5 you can see here is that the erosion rate, the red
6 line is the average. So the average rate for Lake
7 Ontario is .26 metres per year. So that would put
8 Lake Ontario somewhere near the lower range, but
9 in the same ballpark as what we have here on Lake
10 Winnipeg.

11 And then, of course, there is always
12 going to be outliers in any type of population
13 distribution. So there are some places on Lake
14 Ontario that are eroding at a much higher rate, up
15 to 2 metres per year, but not very many.

16 We have done a similar exercise on the
17 Lake Michigan for the U.S. Army Corp of Engineers,
18 and the results here are plotted in a similar way.
19 So in this case the shoreline of Lake Michigan,
20 open coast, about 2300 kilometres, and we had
21 about 1500 kilometres where we had these
22 measurements. We put them all on the graph, we
23 averaged them all, we get .3. So the average
24 erosion rate on Lake Michigan is .3 metres per
25 year, about a foot per year. So, again, similar

1 to the lower range reported for Lake Winnipeg.
2 And like any population distribution, again, there
3 is outliers of some eroding much higher, but not
4 very many. Then everything below zero here, and
5 again it is a smaller portion, are areas where
6 there is an accretion trend, where the sand is
7 accumulating along the shoreline and growing
8 beaches.

9 So I showed you those two examples
10 because there is a lot of data and a lot of effort
11 to put these two graphs together, to put in
12 context that the rates that you have on Lake
13 Winnipeg are not unusual, they are in the ballpark
14 of what you have on other freshwater lakes in
15 Canada that have similar types of geology.

16 And now I'm going to take you quickly
17 here to Lake Erie to show you the other end of the
18 spectrum. And this is some work that Baird is
19 doing for the Elgin County, to put the geography
20 in context, the north shore of Lake Erie here is
21 what we are talking about. This is the Long Point
22 sand spit, sand accumulates here and sand over at
23 the Rondeau. This is all glacial sediments, very
24 high sand content and silt content in these
25 cliffs. And the average erosion rate,

1 particularly in the eastern end, is 4 metres per
2 year. So .3 is high, .6 is high, but you wouldn't
3 want to be owning properties here and losing 4
4 metres per year. To put it in context, I think
5 these pictures help to really show the magnitude
6 of the erosion rate here which, to put it in
7 context, are some of the highest rates in the
8 entire Great Lakes basin, Canada or U.S. side.
9 The top of bank in 1978 here is the yellow line,
10 and then the red is where we are in 2010, and this
11 equates to about 120 metres of land loss over a 30
12 year period. It is quite astounding. So this is
13 now the 2010 photograph in the back drop,
14 everything that is lightly shaded here, and you
15 can see now where the bluffs are today is lost,
16 been eroded at 4 metres per year. So that's the
17 other end of the spectrum.

18 And this is another example, just to
19 the east of Port Burwell. This is the 2010 photo,
20 1978. The solid red line is the top of bank, and
21 you can see how the contours are covering the
22 slope here. And now I'm showing you the '78 on
23 the right-hand side. So everything that's lake
24 ward of these bluff contours today is lost. So in
25 this particular location, this campground has lost

1 over half of its property since 1978.

2 Okay. So, switching gears now a
3 little bit to some case studies to talk a little
4 bit more about the erosion process and talk a bit
5 more about some other things that have been done,
6 other studies to look at the influence of water
7 level regulation on shoreline erosion.

8 So this Lake Ontario study, which I
9 just mentioned with the erosion rates, has a
10 similar story to what has happened on Lake
11 Winnipeg with regulation, in that prior to 1960,
12 the outflow of Lake Ontario, which is controlled
13 by bedrock down the St. Lawrence River, was a
14 natural outflow. So the discharge was related to
15 the stage of the lake and the geometry of the
16 outflow. And you had quite broad fluctuations, as
17 you can see here, between 1920 and 1960. And then
18 along came the dam, the Moses Saunders Power Dam
19 in Cornwall Messena area, a very large structure,
20 and the bowl was to keep the lake within roughly
21 about a 4 foot or 1.2 metre operating range. So
22 the new operating range on Lake Ontario was meant
23 to be 74.2 to about 75.4, somewhere up in this
24 range here.

25 So a similar thing where you had this

1 natural system that had quite broad fluctuations
2 that are related to the supply of water and the
3 dynamics of hydrology, to a system where we now
4 are controlling the levels to some degree. Of
5 course, the supply of water really dictates the
6 level trend, but the regulation plan does control
7 to some degree. And the idea is that the range
8 has been compressed or narrowed in this post
9 regulation era.

10 So the work that was done as part of a
11 very large study, multi-disciplinary study, was to
12 look at are their ways, should we develop new ways
13 to regulate the outflow to the benefit of more
14 stakeholders? That was the nature of the
15 regulation review.

16 This next graph is a busy one, but let
17 me just explain it to you. So we have on the red,
18 the levels of the lake that happen from 1960 to
19 present. That 1958-DD is the historic regulation
20 plan and the historic supplies. Using the
21 computer models, if we had the regulation plan
22 going back as far as 1900, what would the levels
23 have been hypothetically if the dam was in place?
24 So this is a hypothetical graph of what Lake
25 Ontario would look like over a 100-year time

1 frame, based on the actual supply of water to the
2 system with the dam in place. So you see the red
3 there, and it is generally that fairly consistent
4 narrow range as managed.

5 And then we have this blue, the
6 pre-project with historic. And pre-project is
7 looking at the historical supplies of water to
8 Lake Ontario and the outflow with no modifications
9 to the channels, no dam in place. So what would
10 have happened on Lake Ontario from 1960 to
11 present? And of course, what happened
12 historically is what happened.

13 So, again, it is a similar story on
14 Lake Ontario where the blue levels here in the
15 post regulation show that without the dam, the
16 levels would have been higher on Lake Ontario than
17 they were actually with the dam in place.

18 Okay. So a little bit on some of the
19 technical studies then, this is a site on Wayne
20 County, it is the south shore of Lake Ontario, a
21 place called the Chimney Bluffs, and a typical
22 eroding cohesive profile cliff, some homes very
23 close to the edge. So we are using a tool here
24 that Baird has developed over two decades now
25 called the COSMOS model. It is a numerical model

1 to simulate erosion processes. And some of these
2 inputs that you require, and not getting into
3 great detail here but just to set the context, we
4 need to have historical and recent profile data,
5 so what was the shore like and the bottom like
6 historically and present? You also need to have
7 time series water levels, time series waves, and
8 time series ice cover. Now, the model runs on an
9 hourly basis to simulate the erosion process, both
10 on the lake bottom and on the cliff. Of course
11 then also you need to have information on the
12 geology and historical erosion rate.

13 So this next graph is a whole bunch of
14 lines. These lines are representing the beach
15 condition. So the black is again a beach profile,
16 it is a narrow section of it, it goes out to 10
17 metres in depth here. We just zoomed in on the
18 beach and we are zoomed in on the bluff condition.
19 So here is the shallow near shore portion. This
20 would be a little bit of a narrow beach. And then
21 here is the vertical, a fairly steep portion of
22 the bluff face and then the flat tablelands.

23 So what all of these lines are doing
24 here, both the horizontal retreat of the cliff
25 face and the downcutting of the near shore here,

1 we are giving you different estimates for
2 different water level sequences. The waves are
3 exactly the same for all of these modeling
4 simulations. The only thing that's changing is
5 the water level.

6 So the two that I want to draw your
7 attention to are the two that I just showed you.
8 The pre-project is the hypothetical natural
9 outflow, so had the dam not been in place from
10 1960 to 1995, it generated the most amount of bank
11 recession. It is the purple line. And then 1958,
12 with deviations, is the current regulation plan,
13 it is what actually happened with the water level,
14 and it is sort of lined up here with the orange
15 line for plan 1958. So the model is simulating
16 that there would have been less recession, there
17 was less bank recession with the actual regulation
18 plan than the natural outflow.

19 So to go back to this guy, when you
20 have all of these high highs that we had in the
21 last 35 years, hypothetically, if there was no dam
22 versus the red, which is what actually happened,
23 you would get more bank recession at the site.

24 And this is just looking at the data
25 in a slightly different way, where we are looking

1 at the cumulative recession. So the recession on
2 the Y axis metres and time on our X axis. So I
3 put this one in here to highlight the fact that
4 again the erosion process is not linear or
5 average, it is driven by the wave climate and the
6 water level regime.

7 And so the plan, the water level
8 regime that created the most amount of erosion was
9 this pre-project scenario, hypothetically, had the
10 dam not been built. And you can see that at the
11 end of the simulation it generates about 19 metres
12 of erosion. Then if you compare that to '58
13 deviations, again, it is the orange and red lines
14 here.

15 And these climate change scenarios are
16 really probably not that relevant today because
17 they are some estimates of what the lake surface
18 would have been like in the future under climate
19 change that I would say are not technically
20 accurate anymore. So I would just disregard the
21 climate change ones. Really, the key thing is to
22 sort of draw your attention to those two lines.

23 Okay. Moving into something a little
24 closer to home here, Lake Diefenbaker in
25 Saskatchewan, some work that we did with J.D.

1 Muller & Associates, a partnership that we did in
2 studying the erosion at the site called Elbow
3 Harbour. Again, I present it because it is very
4 similar conditions to many of the sites on Lake
5 Winnipeg. We have the eroding bank, you can see
6 at the back of the beach, we have clay near shore
7 here with a veneer of sand and gravel on top of
8 the clay. So this is a typical cohesive
9 shoreline. The clay is underneath that thin
10 veneer of beach sand.

11 We had some really nice historical
12 datasets here and they are plotted in this graph.
13 So the black one is where the bluff was in '77,
14 extending out into deep water here, 8 metres
15 roughly from the full supply. And then we had in
16 '84 beach condition and near shore profile in the
17 blue, and then the 2000. So quite a nice sequence
18 here that shows how both the bottom of the
19 reservoir is eroding over time, as well as a
20 horizontal retreat of the bluff face itself.
21 These lines are the water levels, and this
22 reservoir has quite a broad range of fluctuations,
23 on the order of 8 metres. So a lot of changes
24 seasonally in the water levels. The full supply
25 level is around 557, and we get down below 549,

1 548, in some cases, so a really extreme water
2 level range. But we plot those here on this
3 profile to show you how during the high conditions
4 is when the waves are reaching at the back of the
5 beach, and during the average and lower portions
6 of the range, the waves are hitting this portion
7 of the profile and eroding the bottom of the lake.

8 So, again, without getting into all of
9 the technical details, we used that beach data, we
10 used a wave climate from the lake, we factored in
11 ice cover and water levels, we calibrated the
12 numerical model, and then we simulated the erosion
13 changes over time. And the graph here again is
14 showing time on X axis, '77 to 2000 roughly, here
15 all of your water levels again, up and down, the
16 full supply is the horizontal green line. And the
17 red line is showing you the cumulative bluff
18 recession. So not the bottom of the lake or that
19 profile, but that cliff face, when is it moving
20 and how much.

21 And in this particular case, because
22 of the severe highs and lows on this reservoir, it
23 really pulses, it is not a continuous thing at
24 all. The waves only get to the back of the beach
25 when the lake is at or near full supply.

1 So if you look at all of these steps,
2 again, we had quite a significant amount of
3 erosion in the '78 period, then it was constant,
4 almost no change, jumps up again in '81, big jump
5 in '93, '95. These tend to correspond with the
6 peaks when the lake is near full supply, it has to
7 be at full supply for the waves to get to the back
8 of the beach and attack the cliff face.

9 So I present this to just show again
10 that interrelationship between the water levels
11 and the wave climate, and how that drives the
12 erosion of these cliff faces.

13 And there is a few examples in the
14 report that we presented, the sort of hypothetical
15 what ifs, and again this is the actual data from,
16 the black is '77, '84 is the actual condition,
17 '84. And we say what if hypothetically you raise
18 the full supply level? And so during these 4
19 years, we artificially extended the peak a little
20 bit higher, up to 558 roughly, and what kind of
21 implications would there be? And the blue line
22 shows you what would happen. There would be quite
23 a dramatic increase in the amount of bluff
24 recession, again, because that energy is moving
25 and hitting higher up on to the profile and

1 hitting the cliff face.

2 All right. So these sites are very
3 sensitive to water levels, especially at the
4 higher range. But it doesn't mean that erosion
5 doesn't happen during the average and low water
6 level conditions, it is just happening lower down
7 on the profile.

8 Okay. We are on the second last
9 section here. I want to just spend a few minutes
10 to talk about potential future studies, and I
11 stress potential, we were just asked to think a
12 bit about what could be done in the future. I'm
13 not necessarily advocating that you do any of
14 these things, it is just sharing our experiences
15 with you and things that really all of the
16 stakeholders in the Province of Manitoba may want
17 to consider in the future.

18 I think the question that is on a
19 number of people's minds is, has regulation
20 increased or decreased erosion rates. And I'm
21 here to tell you today that we can't answer that
22 question without doing some technical studies. So
23 that's not something that you can just draw a
24 conclusion on. It is a very complex question. It
25 is one where you want to take multiple lines of

1 evidence to look at whether regulation on Lake
2 Winnipeg has actually accelerated or decelerated
3 erosion rates. I don't have the answer for you
4 today, and I wouldn't even want to guess what that
5 answer is. The only way to know what that answer
6 is, is to do a rigorous technical study. And I
7 would emphasize that you would want to take
8 multiple lines of evidence to look at how the lake
9 has responded in that pre versus post regulation
10 scenario.

11 The other thing that I wanted to touch
12 on a little bit, and this sort of gets more to the
13 planning, is to share some experiences from the,
14 again, the Rural Municipality of Victoria Beach,
15 where Baird has been doing some work for a number
16 of years now. And I just present it as a case
17 study for people to think about with respect to
18 management of the shorelines in the future. And
19 when I talk about management, I think one of the
20 trends that we are seeing elsewhere, and on Lake
21 Ontario, throughout the Great Lakes, certainly a
22 trend is that water level fluctuations have
23 happened, they are going to continue to happen,
24 and the winners in the future are going to be the
25 people that are able to respond to them, that have

1 a resilient coastline. So one way to be able to
2 manage fluctuating water levels is to have a plan.
3 So that's what we did with the Regional
4 Municipality of Victoria Beach is we developed a
5 shoreline management plan with them.

6 So the graphic on the left is what we
7 got when we started, and it showed all of this
8 green land lake ward above these properties along
9 the west coast, but reality is when you look at
10 them today, these colour coded ones, in many cases
11 the erosion was now on or into the private
12 property, which was a big problem, a big challenge
13 for them as a community. Because once the erosion
14 started to move on to private property, the
15 eroding bank, it no longer becomes a public beach.
16 And of course, I think most people know that the
17 beaches are quite important to the people in these
18 communities, as they are elsewhere.

19 So the water level history here, along
20 came the weather bomb in 2010, when we got levels
21 up to 719. I think we have shown you today many
22 cases of what happens when you get those elevated
23 levels on these cliff faces, they erode very
24 quickly and at a much higher rate than the
25 average, which is certainly what happened on Lake

1 Winnipeg and Victoria Beach. They also had -- and
2 here it's from a planning perspective, we were
3 surprised by the lack of oversight with respect to
4 development. And in this case example here, you
5 can see this is a cliff failure, a bench from a
6 massive failure. The material used to sit up
7 here, and yet there is relatively little control
8 about geotechnical issues and slope failure issues
9 with respect to future development, which is quite
10 in contrast to other jurisdictions in Canada. And
11 then we have these sandy cliffs as well, they are
12 eroding.

13 So what we have done in this shoreline
14 management plan, and again it is something that
15 other communities around the basin may want to
16 think about, is pro-actively looking at and
17 mapping where will the shoreline be in the future.
18 So we are giving them a 25 and a 50-year estimate
19 of where the shoreline might be, so you understand
20 what your hazards are and what those risks are for
21 your investments along your shoreline. There is
22 an uncertainty band here that grows, because of
23 course there is uncertainty where the shoreline
24 will be the further you get into the future.

25 We also worked and engaged with the

1 community quite extensively about what they wanted
2 with the shoreline, what is important to the
3 community, what kind of hazards do you have, what
4 kind of uses do you want to have for the shoreline
5 in the future, how does it integrate with their
6 development plan?

7 We came up with a series of options
8 and ultimately settled on recommended management
9 approaches for larger reaches of shoreline, not
10 the individual property scale, but looking at the
11 shoreline as a physical system, understanding the
12 erosion and accretion processes, and doing
13 something that's working with the physical
14 processes, not against them. So in this
15 particular case the idea was to build a couple of
16 structures at the end of the beach and nourish the
17 beach artificially with sediment from a local
18 quarry.

19 So that's enough about that, it is a
20 little more detailed than you needed, but just to
21 give you an idea of some of the things that could
22 be done with respect to shoreline planning in the
23 community scale. And it is something that's done
24 quite extensively in other regions, in the Great
25 Lakes, for example, it is quite extensively done,

1 and my understanding is it is not really done that
2 much at all in this province.

3 The other thing that's pretty common
4 throughout the Great Lakes and all of the States
5 and Ontario is hazard mapping. And this is an
6 example of that Elgin County shoreline on the
7 north shore of Lake Erie, and there is an entire
8 policy regime at the Provincial level, passed down
9 to the conservation authorities or sort of local
10 stewardship entities, and they are required to map
11 out where the shoreline will be in 100 years. All
12 right.

13 So this is one of those areas where
14 the shoreline is eroding at 4 metres per year.
15 And hopefully you can see this red line is the
16 estimate of where the shoreline is going to be in
17 100 years. And so if a proponent, let's say the
18 landowner of this parcel here wants to come in and
19 build a new home, if it is possible from a zoning
20 perspective, most likely they want to come over
21 and put the house right here, because they want to
22 see the lake and have the views and hear the
23 waves, we have all seen that. Okay. I can't
24 knock them, the views are spectacular when you are
25 up on these cliffs, for sure. But what the policy

1 regime in Ontario says, you have to be away from
2 the erosion hazard, the new development, for 100
3 years. So if a proponent wants to build a house,
4 they have to have road access and it has to be
5 behind this red line.

6 So throughout all of the more
7 developed shorelines in the Great Lakes region,
8 and certainly throughout all of Ontario, except
9 for the very northern portions that are
10 undeveloped, I'm talking Lake Superior, for
11 example, this mapping is available. So if a
12 proponent wants to come in and say, I want to
13 build my house, there is a policy regime that's
14 going to make sure that house is located in a
15 location that's safe for 100 years.

16 It is my understanding this type of
17 thing is not really done in Manitoba, and that's
18 something that could be done in the future to do a
19 better job of the planning and to minimize the
20 hazards and the risks that future development is
21 exposed to.

22 And then I think my last slide here is
23 just talking a bit about shorelines, shoreline
24 communities and resilience. The schematic here is
25 what a lot of places, communities across Canada

1 and the world really for that matter have done, is
2 that linear type of development right on the shore
3 edge, intensively developed, great views for the
4 people that are there, a lot of hazards, has a big
5 impact on ecosystems. And what would be nice to
6 see, and something that I'm a strong advocate for,
7 is a more proactive, more creative future. This
8 may not be the perfect diagram on the right here,
9 but it is showing a green corridor along the lake
10 and focusing the development further inland, in
11 tighter compact communities, in places where you
12 are safe from the hazards, and yet still provide
13 access to the shorelines, places where you can go
14 and recreate, but not getting into that problem of
15 building a home too close or putting your assets
16 too close to an eroding shoreline.

17 So I think with that I'm concluding my
18 formal slides. Thank you everyone here today to
19 listen, and those of you on the video
20 conferencing, and I guess we will switch to
21 questions through the Chair. Thank you very much.

22 THE CHAIRMAN: Thank you, Mr. Zuzek.
23 Manitoba Hydro?

24 MR. BEDFORD: Could you give us five
25 or ten minutes?

1 THE CHAIRMAN: Sure. Let's take ten
2 minutes.

3

4 (Recessed at 10:55 a.m. and reconvened
5 at 11:05 a.m.)

6 MR. BEDFORD: We don't have any
7 questions. Thank you.

8 THE CHAIRMAN: I think they just made
9 your life easier, Mr. Zuzek. Mr. Williams?

10 MR. WILLIAMS: No questions. Our
11 client just wanted to say we read a lot of what
12 Mr. Zuzek has done in Ontario and elsewhere, and
13 we certainly appreciate that.

14 THE CHAIRMAN: If you want that on the
15 record, you have to come and speak into a mic.

16 MR. WILLIAMS: Mr. Chair, and members
17 of the panel and Mr. Zuzek, good morning. I just
18 want to indicate we have no questions, but our
19 client has read with great interest the work of
20 Baird in Ontario, as well as for Victoria Beach,
21 and certainly appreciate his contribution to this
22 process.

23 THE CHAIRMAN: Thank you,
24 Mr. Williams. Pimicikamak, do you have any
25 questions of the witness? Thank you. Panel

1 members, Mr. Yee?

2 MR. YEE: Mr. Zuzek, I'm a bit of a
3 dummy when it comes to erosion so I need
4 clarification. A couple of your slides, the one
5 on erosion basics, you talk about the force
6 associated with the waves and the currents exceeds
7 the resisting properties of soil, it erodes. And
8 again on the other slide you have for sediment
9 transport you talk about waves and current pushing
10 sediment along. I just want clarification what
11 you mean by currents? Are these currents that are
12 caused by the fluctuation of the lake levels, or
13 are they natural currents from say rivers
14 entering, in the case of Lake Winnipeg they are
15 talking about a diversion or putting a new channel
16 in, are these the currents that you are referring
17 to?

18 MR. ZUZEK: That's a very good
19 question. Probably a clarification first, when we
20 talk about the force of waves and currents
21 exceeding the resisting properties of the soils,
22 that's primarily for the cohesive or consolidated
23 glacial sediments that we have. When we are
24 talking about waves and currents and sediment
25 movements in the diagram you mentioned, about sand

1 moving along the coastline, those would be -- it
2 is really a different environment. It is a sandy
3 environment, where the sand is moving along the
4 shoreline generally. In those currents --
5 specifically your question, the currents are those
6 generated by breaking waves. So they are
7 storm-driven waves that approach the beach at
8 oblique angles, will break, create turbulence,
9 generate what we call a long shore current. Those
10 currents will suspend sediment in the water column
11 and move bed load along the bottom, and
12 essentially transport that sand down the beach
13 along the shoreline. So it is the currents that
14 are generated primarily during waves, breaking
15 waves during storm events, and not the general
16 gyre that you might get in a lake like Winnipeg
17 during calmer periods.

18 So the events that will create
19 sediment plumes, for example, coming out of the
20 rivers, or after a heavy rainfall event, those
21 currents are primarily, the gyres are primarily
22 moving fine silt and clays. And from the
23 standpoint of beaches and how the beaches erode
24 and evolve over time, we are really not interested
25 in the sand and silt fraction because that doesn't

1 stay on the beaches. I'm primarily interested in
2 the sand and gravel fraction, and that's moved
3 during severe storm events.

4 MR. YEE: Thank you very much.

5 THE CHAIRMAN: Ms. Suek?

6 MS. SUEK: Yes. You know, the charts
7 that you had showing pre and post regulation show
8 lower -- that the highs have been contained and
9 the lows have been -- are less too, you know,
10 there is less, greater fluctuation. Some people
11 who have presented to us feel that because the
12 lows aren't as low either, because that's been
13 contained as well, that the erosion doesn't have
14 enough, I mean, it doesn't have enough time to
15 come back. That it used to be if it eroded, it
16 would come back because of the highs and lows.
17 The fact that the lows aren't as low as they were,
18 is that having any effect on the sediment being
19 deposited or the erosion?

20 MR. ZUZEK: That's a very good
21 question. Thank you for it. I think it is an
22 important question and it is one of those -- it is
23 a question that's hard to answer in general terms
24 because it is -- it will depend on site specific
25 conditions. So how much sand is in the near shore

1 environment, what is the geology like, what is the
2 wave exposure like? But certainly in general, and
3 this has been shown on the Great Lakes where
4 there's been more scientific research, I think,
5 than on Lake Winnipeg, as the water levels drop
6 and during falling lake level trends, the downward
7 dips per se, you do have events where -- you do
8 have times where sand is pushed on shore. So
9 water levels drop, not only do the beaches, more
10 of them are now uncovered, because there is less
11 water so the beach naturally gets wider, but you
12 do have -- you can't have the potential for
13 on-shore sand movement during those falling water
14 levels conditions. So it is something that
15 happens, but it is also a very complex process,
16 and it is not one where you can just draw sort of
17 a general conclusion, it is something that you
18 would need to take a look at in a scientific
19 study.

20 MS. SUEK: I just have one more
21 question. You showed a slide of Grand Beach and
22 you talked about it being a bit protected by the
23 land there. We heard from people around Grand
24 Beach that they were losing considerable amount of
25 the beach, and I didn't hear that here. I'm

1 wondering, if you have looked at that, have they
2 lost a lot of beach? Is that really protecting
3 them, or what is your, what do you think about
4 that?

5 MR. ZUZEK: Good question. I think
6 Grand Beach -- to be totally honest we haven't
7 done any specific technical studies there. We
8 have certainly seen the beach, we have seen the
9 photos. I would call that beach, and again this
10 is without having done any background work there,
11 but I suspect that it is what we would refer to as
12 a beach that's dynamically stable. In other
13 words, it definitely doesn't have a long-term
14 erosion trend, because there is a beach there and
15 there wasn't a long time ago. It is a beach that
16 likely changes, the width will change as the water
17 levels fluctuate up and down, partially because
18 some of the beach is getting covered during the
19 highs, and during the lows more beach is becoming
20 uncovered. So there is that natural effect.
21 There is also the movement, on-shore and off-shore
22 sediment, and that's well-documented in technical
23 literature. But by and large, by the nature of
24 that head land that sticks out there, I think the
25 beach is stable in the long term.

1 Now, that's not to say there aren't
2 periods, or if you have a couple of summers of
3 water levels above 715, you will certainly see
4 some of your beach erode, but it likely comes back
5 when the water levels go back down.

6 MS. SUEK: Okay, thank you.

7 THE CHAIRMAN: Mr. Harden?

8 MR. HARDEN: Bev stole my thunder on
9 the effect of the low level.

10 Another thing that's been said is that
11 by concentrating levels near, close to the mean by
12 removing the fluctuations, you are concentrating
13 the erosion at a particular narrow range of
14 levels, and that increases the rates at those
15 levels. Can you comment on that?

16 MR. ZUZEK: Another good question.

17 So this gets to the question or the
18 need, in our opinion, to answer the broader
19 question of, has erosion accelerated because of
20 the nature of the water level change, from the
21 broad natural fluctuation to the compressed range
22 that we have today? When I say compressed,
23 somewhat compressed in historic. And we studied
24 this in a number of freshwater lakes across Canada
25 and the United States. And until you look at that

1 in a formal scientific process and a study, it is
2 very difficult to comment. Because what you
3 really need, and this is the only way that we've
4 seen it done in a defensible way, is you need to
5 look at hour by hour, what water level do you
6 have, what kind of wave climate do you have on
7 that hour, and do that over multiple decades, and
8 then compare that for a natural system versus the
9 modified one.

10 So the computer animation that I
11 showed you there, mind you is a little bit jumpy,
12 but you are actually looking at 30 years of
13 evolution of that profile on an hourly basis. So
14 the physics of erosion on those cohesive sediments
15 is being simulated every hour for 30 years. And
16 so wherever the water level is -- if it is really
17 low you are getting that downcutting on the
18 profile. If the water level comes up high above
19 the beach, the energy goes into the bluff and then
20 you have that horizontal retreat.

21 So until you do that in a
22 deterministic way with a tool to remove the
23 subjective nature of trying to come to a
24 conclusion, you really don't know. But I think
25 that is a question that could be answered, but it

1 is not one where you can just give an opinion on,
2 you really need to look at it in a formal way.

3 MR. HARDEN: Thank you, that was my
4 only question.

5 THE CHAIRMAN: Thank you. My question
6 sort of flows right out of Bev and Neil as well,
7 and talking a bit about beaches. And you've
8 talked about, at least on the Victoria Beach side
9 of the lake, increased stability of sandy
10 features. We've heard -- we heard from at least
11 one witness in Gimli, in particular, who even came
12 with a figure, and I don't have the notes from
13 that meeting with me, about how many miles of
14 beaches have been lost in the Gimli RM. It was
15 significant. And actually one of the pictures in
16 your presentation, the eroding cohesive shoreline,
17 I know that area, there used to be a very nice
18 beach along there. As an aside, I actually looked
19 at buying a lot, one of these two right here in
20 this picture, but when I saw the eroding
21 shoreline, I didn't. That area now, as another
22 aside, has a rock armour all the way along it, and
23 that may pose other issues, as you've indicated.
24 But do you know anything about the west side of
25 the lake beaches, or if they would have been

1 influenced differently than the east side beaches?

2 MR. ZUZEK: Okay. So I guess the

3 first point to make there, one of the colleagues

4 that I work with was very active on the studies

5 around 2000 that lead to the handbook, and he was

6 the one that did the site visits to the west side,

7 it wasn't myself. There is a couple of things

8 that I can maybe raise to try to put your question

9 in context, which I think is, are there less

10 beaches today than there was historically? And

11 there is two general things that we've observed

12 again on these freshwater lakes across North

13 America that can contribute to a reduction in

14 beaches. And certainly one of them is armouring

15 eroding shorelines. The reason I made the point

16 of stating that, the sediment that you have on the

17 beaches on Lake Winnipeg, most of it came from

18 shoreline erosion. So there would have been some

19 sand once the glaciers left, there could have been

20 a bit of loose sediment here and there, but by and

21 large what happened is the lake became a lake,

22 waves were generated by wind and currents and they

23 started to erode materials. So the source of the

24 sand and gravel for the beaches that we do have,

25 and the people hold so dear to them, comes from

1 the erosion process. And that's a really
2 fundamental point for people to understand.

3 So then we go to the unfortunate
4 property owner who has an eroding shoreline and
5 they don't want to see their property erode, and I
6 can be certainly sympathetic to that, and they
7 build a structure. And then the neighbour builds
8 a structure, and the next neighbour builds a
9 structure, and they harden the shoreline and they
10 stop the erosion process, and possibly for a long
11 time, possibly for a short amount of time,
12 whatever the scenario is depends on how much they
13 invest in their structure. What they have done
14 there is help their challenge with respect to the
15 erosion, but they have cut off the sediment
16 supply. So you have cut off the supply of new
17 sand and gravel entering the near shore
18 environment by armouring your shoreline, or a long
19 stretch of shoreline.

20 So while I'm not in a position to draw
21 conclusions from Gimli, but I have certainly done
22 enough other studies throughout the Great Lakes
23 that armouring shorelines along eroding shores
24 with communities will result in less beaches for
25 sure, that's well documented. There is a place on

1 Lake Erie where 90 per cent of the shoreline is
2 armoured now, and we have measured dramatic
3 changes in the beach environments in that
4 community.

5 Now, the other piece that -- the other
6 piece of information to share, which comes from
7 one of the previous studies and that's the Lake
8 Ontario work, when that study, and it went through
9 extensive consultation and we were involved,
10 heavily involved for five years. And ten years
11 later they are just now trying to get a new
12 regulation plan in place. So it has been a very
13 extensive consultation process. But we heard from
14 a lot of stakeholders that their beaches, there is
15 less beaches since regulation. And we heard that,
16 and a lot of people wanted to talk to the
17 regulation itself being the issue. And we
18 listened, and we studied that, and as we got
19 further into the investigation and we started
20 looking at the computer modeling that I showed
21 you, what we have shown on Lake Ontario by
22 compressing the range is that you've reduced the
23 long-term erosion rate. And if you reduce the
24 long-term erosion rate by compressing the water
25 level range, that means you are generating less

1 sediment. So on Lake Ontario, again, in sort of
2 broad conceptual terms, there is less sediment
3 today in the system than there was in the
4 pre-regulation scenario because the shore is
5 eroding slower. There has to be less, we are
6 making less sediment from erosion.

7 So there is a lot of
8 interrelationships, there is a lot of trade-offs,
9 like anything in life, along shorelines. So one
10 action may often result in an unexpected action
11 somewhere else.

12 THE CHAIRMAN: There were people,
13 again at Gimli, who said, and I'm not a geologist,
14 said that it was actually when the water was lower
15 that the sand came up on to the beaches and helped
16 the beaches, and they felt that the regulation of
17 the lake had limited those lower levels.

18 MR. ZUZEK: Yeah. The simplest
19 analogy, there is something called, there is a
20 concept called the Bruun rule, which was developed
21 by a gentleman called Pierre Bruun. And basically
22 he showed that as water levels are lowered, there
23 is an on-shore movement of sediment. And it is a
24 bit like a tube of toothpaste, if you put your
25 hand down on the tube of toothpaste, you are going

1 to squirt toothpaste up the beach slope. So it
2 does happen, the waves and currents create -- I
3 showed you the example where the eroding profile
4 on that one lake that they raise the level 3
5 metres, the shape of the bottom is a product of
6 the wave climate, and the water level regime. And
7 so there is an interrelationship there between the
8 bars, and the depths, and the slopes of your near
9 shore environment is directly related to your wave
10 climate, and they create an equilibrium when you
11 are in a similar lake level. When you drop the
12 level of the lake, all of a sudden the system is
13 out of equilibrium because it is not as deep. So
14 as the waves approach the shore, all of a sudden
15 the lake is shallower than it was, and that can
16 result in the on-shore movement of sediment. So
17 it is -- I think the scenario that they are
18 describing in general terms, again, I think it is
19 possible that that's happened. But in a place
20 like Gimli, I think to try to draw some
21 conclusions around causation, you need to look at
22 the broad context of the community, you need to
23 look at the geology, you need to look at the
24 artificial hardening of the shoreline in context
25 of water level regulation. So it is not possible

1 to simply just take one lightning rod and draw a
2 conclusion, you need to look at the entire
3 picture, the interrelationships, all of the
4 physical processes along the shoreline, and then
5 draw your conclusions, again, if you can, from
6 multiple lines of evidence.

7 THE CHAIRMAN: Thank you. Just an
8 observation. You mentioned a stretch of Lake Erie
9 where 95 per cent of the shoreline was armoured.
10 About 10, 12 miles south of Gimli there is an area
11 called Dunnottar where there is a number of
12 beaches, and I would guess that probably 75 to 85
13 per cent of the stretch for 3 or 4 miles along
14 there has been armoured. And there are still some
15 areas that are unarmoured where there is not bad
16 beaches, but a lot of the beach is gone. Whether
17 one caused the other, I can't say. You mentioned
18 in both your report and today's presentation that
19 to determine whether regulation has increased or
20 decreased erosion rates would require a technical
21 investigation. Can you briefly describe what such
22 a technical investigation would involve?

23 MR. ZUZEK: I think there is at least
24 two things that could come to mind that you would
25 want to do and, again, it is about trying to come

1 to the conclusion with multiple lines of evidence.
2 I keep coming back to that. You don't want to
3 just simply draw your conclusions from one thing,
4 or a narrow range of, or range of types of
5 science. But I think certainly measuring rates of
6 change could be done. It may have already been
7 done, but you could measure the rate of shore
8 erosion in the pre-regulation and compare that to
9 the rate of shore erosion at a site in post
10 regulation, so simply measuring physical changes
11 on the shoreline. That's not without challenges,
12 because in the pre-regulation era the quality of
13 our mapping and photographs are not as good as
14 they are in the post regulation. But it could be
15 done. It is the type of thing that has been done
16 elsewhere.

17 Now, the one caveat with that is that
18 the wave climate might be different in the pre and
19 the post. So if you measured changes, and just
20 using round numbers, the erosion rate in the
21 pre-regulation was 2 feet per year, and in the
22 post regulation it is 1 foot per year, or vice
23 versa, 1 foot pre, 2 feet post, you would notice a
24 difference in the rate. But then you would have
25 to ask yourself, have the driving forces changed?

1 So you would have to quantify the driving forces
2 of change, which is primarily the wave climate on
3 the lake. Maybe it was wavier, there was more
4 energy in the pre-regulation, there is less energy
5 in the post, or vice versa. So measuring gives
6 you one bit of information, but what it doesn't
7 bring into it is that driver of change. Then you
8 have the water levels and the supply of water to
9 the system and how that's changed, so that would
10 need to be looked at.

11 And then that leads us to the type of
12 thing that we've had a chance to do in the past
13 for other clients, and that's the computer model.
14 And the reason we showed some of those examples
15 today and talked about that in the report is that
16 it pulls it all together. It pulls together the
17 water levels, it pulls together the wave climate
18 and the geology, and the erodibility of the soils.
19 And it is just another piece in the tool box that
20 can be used and it has been used in the past.

21 So those are a couple of things that
22 could certainly be used. Of course, you can
23 always talk to people too and use local knowledge,
24 traditional knowledge is another form. Those are
25 a few things that come to mind.

1 THE CHAIRMAN: So it can be done?

2 MR. ZUZEK: It can be done.

3 THE CHAIRMAN: Thank you. You also
4 mentioned, again, both in your report and today
5 that -- I will just read from the report:

6 "Compared with other Provincial and
7 State jurisdictions with management
8 responsibilities for large freshwater
9 lakes, Manitoba has limited policies
10 and regulations."

11 I guess my question is, do these kind
12 of policies and regulations, are they reasonably
13 available online? I mean, if we went to Ontario
14 or Michigan, or somewhere other, could we find
15 examples of this type of policy?

16 MR. ZUZEK: Yes. Most of the -- in
17 the States it is primarily the Department of
18 Natural Resources at the state level that will
19 have guidelines for new development. In Ontario,
20 there is sort of a dual responsibility there.
21 Historically it was with the Ministry of Natural
22 Resource. That's been transferred now to the
23 Conservation authorities, and they have generic
24 regulations, and they look at hazards, flooding,
25 erosion, the two big ones, but they also look at

1 beaches as well, dynamic beach environments. And
2 what they are focused on, these regulations, is,
3 again, locating new development away from the
4 hazards for 100 years. That's the premise, I will
5 refer to that as the planning horizon.

6 Ontario has the largest planning
7 horizon, or longest planning horizon in the Great
8 Lakes. Other places like Michigan is 60 years.
9 In the State of Ohio, at least the last time I
10 checked, it is 30 years, more the sort of duration
11 of a mortgage type thing. So that's something
12 that is done.

13 And what I would mention is that I
14 think, while I think it is a good thing to have
15 such a policy, it is not the only thing that you
16 can do either. So what these policies do is
17 dictate where new development can occur in a safe
18 manner. And that in itself is an accomplishment.

19 In Ontario, just to give the panel
20 some background, it didn't necessarily evolve
21 because the Province of Ontario thought that we
22 should protect people. It happened because there
23 is repeated claims of flood and erosion damage
24 during high water events, and the Province
25 realized, I think we can do something better here

1 and minimize the amount of people knocking on our
2 door for compensation if we had a better policy to
3 locate new development in a smarter location. So
4 these are good policies.

5 Now, where I would say that they fall
6 short in a global context is that in many places
7 around the world, including Europe, they are
8 moving to this approach of ecosystem based
9 management. And that would be looking at your
10 ecosystem in a whole context, and the services it
11 provides, and making wise resource management
12 decisions.

13 So when I get on my soapbox in Ontario
14 and I start kicking sand around, I say, great that
15 you keep the people away from the hazards, but
16 should we develop homes everywhere, should we
17 develop on eroding shorelines?

18 So there is a lot of important
19 questions that we can ask. And of course, we can
20 always make improvements. I'm not trying to be
21 critical of government in any way, but we learn as
22 a learning community over time, things that we did
23 in the 1960s we don't do today. We don't line
24 creek channels with concrete anymore. We have
25 learned a lot about shorelines and coastlines in

1 the last several decades and we always make
2 improvements. And that's what we should strive to
3 do as a community. That's why I mentioned that
4 whether it be done at the community level, more as
5 sort of a stakeholder driven exercise, whether it
6 is a bottom up, or whether it is more of a top
7 down governance approach, I think there are things
8 that could be done in Manitoba to improve the
9 resilience of the shoreline communities and reduce
10 hazards and result in a better, safer coastline in
11 the future.

12 THE CHAIRMAN: I don't think that I
13 have any other questions. Anybody else? Last
14 chance?

15 Well, I think you got off quite easy
16 today. Thank you very much for your presentation
17 today. Thank you for preparing the paper that we
18 received a number of weeks ago. This issue,
19 shoreline erosion is a big issue with a number of
20 people, particularly around the southern basin of
21 Lake Winnipeg. So the work that you have done
22 will certainly help us explain some of these
23 things. I don't know that we will satisfy
24 everyone, or convert everyone who has other views,
25 but this will certainly help us in coming to

1 whatever conclusions that we do. So thank you.

2 And as somebody who has spent a lot of
3 time around Lake Winnipeg, I would like to thank
4 you and your firm for the work that you have done
5 to try and save that southern basin.

6 MR. ZUZEK: Thank you very much.

7 THE CHAIRMAN: Thank you. So we are
8 finished early. IISD will hopefully show up at
9 1:30, so we will come back here at 1:30 for their
10 presentation.

11 (Recessed at 11:30 a.m. and reconvened
12 at 1:30 p.m.)

13

14 THE CHAIRMAN: Okay, are we ready to
15 go? You are ready to go, Hank?

16 DR. VENEMA: Sure.

17 THE CHAIRMAN: If you would come up to
18 the hot seat?

19 Dr. Henry David Venema: Sworn

20 DR. VENEMA: Good afternoon, ladies
21 and gentlemen, and thank you for your interest in
22 this topic.

23 The International Institute for
24 Sustainable Development submitted a paper entitled
25 Strategic Large Basin Management For Multiple

1 Benefits, and I will present some of the
2 highlights of that paper herewith.

3 So, the intent of the paper is to
4 highlight the geographic context of the Lake
5 Winnipeg basin, particularly its vast watershed
6 area relative to the surface area and volume of
7 Lake Winnipeg. And here is a map of the extent of
8 the watershed, and it extends from the eastern
9 slopes of the Rockies to the so-called water tower
10 of the Winnipeg River system in Northwestern
11 Ontario, back down into South Dakota. So it
12 really receives water from a very, very large
13 drainage area. In fact, the ratio of the volume
14 of Lake Winnipeg to its basin area is by far the
15 lowest of all of the great lakes of the world.

16 So you can see that the big geographic
17 context is that the buffering capacity of the
18 geographic processes taking place in this large
19 basin is relatively low compared to the other
20 large lakes of the world.

21 This region is also subject to climate
22 change and the effects thereof. This is a map of
23 Palliser's Triangle, as denoted by an early
24 explorer of Western Canada, and the region is also
25 noted for its high climatic variability, effects

1 which are expected to become more extreme under
2 climate change projections.

3 Now, the intent here is to just
4 highlight that ecosystem services from watersheds
5 provide multiple benefits, and that includes
6 notably climate regulation, the potential for
7 well-managed watersheds to buffer the impacts of
8 climate change impacts, watersheds can also
9 increase storage capacity.

10 Among the ecosystem system services
11 for watersheds is hydropower production. And as
12 IISD has demonstrated in its work, nutrients,
13 which is of course a very major issue with respect
14 to Lake Winnipeg, water purification and so on,
15 these are all ecosystem services that well
16 functioning watersheds provide.

17 Now, the remainder of this
18 presentation I'm going to focus on a particular
19 aspect of enhanced ecosystem services from
20 watersheds, which are particularly relevant given
21 the nutrient loading stresses, given the climate
22 change stresses, and are applicable across vast
23 areas of this watershed.

24 The idea of using watersheds and
25 watershed management to increase ecosystem

1 services is particularly salient, given the fact
2 that we know from recent research that flooding
3 events dominate the nutrient loads to Lake
4 Winnipeg. So the more intense the flooding event,
5 the more extreme the nutrient loading event. And
6 this is actually a non-linear relationship, so it
7 is very important to basically take the flood peak
8 off if you want to deal with nutrient loads. And
9 the modification across this vast landscape, as it
10 has been settled and developed for agriculture,
11 has really tended to exacerbate the peak flows and
12 nutrient flows. And this is confirmed in recent
13 research by Pomeroy, just very recently in
14 southern Saskatchewan, the best sort of analytical
15 work on the influence of wetland drainage on
16 increased peak flooding events.

17 Now, one of the approaches that
18 combines multiple benefits, flood storage, flood
19 peak production and nutrient loading benefits is
20 this idea of non-point -- sorry, distributed
21 storage. It is important to note that about
22 two-thirds of the nutrient load on Lake Winnipeg
23 is from non-point sources, from background
24 watershed processes and from anthropogenic
25 sources, including agriculture. And one of the

1 approaches that combines the multiple benefits,
2 increases the flow of ecosystem services, is the
3 concept of distributed storage. And we have
4 several interesting examples in the Lake Winnipeg
5 basin, including the small dam projects at South
6 Tobacco Creek, the North Ottawa impoundment
7 project, and some of the work that's been going on
8 under -- through the University of Manitoba
9 watershed systems science program regarding
10 regraded ditches and filter ponds and back-floated
11 dams.

12 So in the analysis that IISD did on
13 distributed storage approaches, we noted that when
14 one calculates the value of the ecosystem
15 services, including flood flow reduction, nutrient
16 interception, and potentially carbon management,
17 when one looks at the broader suite of ecosystem
18 service benefits compared to cost, we see the
19 distributed storage approaches have significantly
20 higher than 100 per cent benefit cost ratio. So
21 the -- and those benefits include avoided drought,
22 new wetland habitat, production of biomass, carbon
23 credits, reduced eutrophication and avoided
24 flooding costs. Those are compared with upfront
25 capital costs, operating costs, and the

1 opportunity cost of using agriculture land for
2 this purpose.

3 Here are some examples of different
4 styles of distributed storage.

5 Now, the broader intent of the
6 dimension, the focus on distributed storage is
7 within the context of methods that increase the
8 overall flow of ecosystem services. And we regard
9 the integration of ecosystem services with
10 integrated water resources management as the
11 ascendant paradigm. This quote is taken from the
12 fourth assessment report of the intergovernmental
13 panel on climate change, where it was stated that
14 the paradigm of integrated water resources
15 management will decrease the vulnerability of
16 freshwater systems to climate change. And in the
17 context of Lake Winnipeg, that's very important,
18 as we know that climate change is one of the
19 drivers of nutrient management, of nutrient
20 loading to Lake Winnipeg.

21 Just a few examples where large scale
22 integrated water resources management has really
23 flourished in a multi-jurisdictional setting
24 include the Columbia River basin, where you see
25 multi-jurisdictional planning, adaptive

1 management, the innovative use of financial
2 instruments to fund conservation and water
3 management activities, Columbia River basin is a
4 good example thereof, and a shared basin between
5 U.S. and Canada.

6 The Murray-Darling basin in Australia
7 is another very good example of
8 multi-jurisdictional, collaborative, large scale
9 basin management. And here we see, again, the use
10 of innovative fiscal instruments, including water
11 quantity trading, to manage competing stresses in
12 the basin. So we are seeing the application of
13 financial instruments to manage ecosystem services
14 as part of an integrated water resources
15 management paradigm on a large scale more so
16 throughout the world.

17 Other trans-boundary basins that we
18 have reviewed where this approach is ascendant
19 include the Danube River, the Okavango River in
20 Africa, and the La Plata River in South America.

21 So the intent here is to alert us to
22 the potential for large scale integrated water
23 resources management across the Lake Winnipeg
24 basin, given the fact that it is these distributed
25 geographic stressors that really drive nutrient

1 loading into Lake Winnipeg.

2 So the recommendations, the broader
3 recommendations from this paper are to enhance
4 basin-wide management and governance. Consider
5 the land as ecological infrastructure, look at our
6 watersheds as opportunities to construct
7 multi-purpose ecological infrastructure that
8 combines flood storage and nutrient management,
9 drought protection, downstream aquatic ecosystem
10 management opportunities.

11 The other key recommendation is to
12 use, increasing the use of financial instruments
13 to generate ecosystem services. And there are --
14 this is basically a swap between a hard
15 infrastructure for soft infrastructure, which can
16 be done often at lower cost than hard
17 infrastructure investments.

18 Look at nutrient management issues
19 from an upstream perspective, and look at the
20 climate change benefits, the increased resilience
21 to flood and drought shock as co-benefits from an
22 upstream storage perspective, an upstream
23 ecosystem service, more broadly, ecosystem service
24 enhancement perspective.

25 So I will leave it at that. We have

1 not -- I will just mention anecdotally that in the
2 Lake Winnipeg basin, we have not had a structured
3 ecosystem procurement program ever. We have had
4 small scale pilots, but we have never
5 systematically approached the purchase of
6 ecosystem services for multiple benefits. There
7 has never been a structural approach to that.

8 We have the Prairie Provinces Water
9 Board, we have the Red River Basin Commission, but
10 those are elements only of what a broader
11 integrated water resources management paradigm
12 would look like for the Lake Winnipeg basin.

13 I will leave it at that for the
14 moment. Those are some of the highlights from the
15 paper that we submitted.

16 THE CHAIRMAN: Thank you, Dr. Venema.
17 Normally, under our rules of proceedings, someone
18 who just comes forward to make a presentation
19 isn't subject to questioning, but I think, given
20 the nature of your expertise, and your comment to
21 me before we went on the record that you would be
22 open to questions?

23 DR. VENEMA: Sure.

24 THE CHAIRMAN: Okay. Are there any
25 questions from Manitoba Hydro?

1 MR. BEDFORD: Dr. Venema, my name is
2 Doug Bedford, I work at Manitoba Hydro. And I
3 recall, when I read the paper that you and your
4 colleagues filed, one of the questions that I
5 don't think that you address in the paper but
6 certainly crossed my mind was, given the size of
7 Lake Winnipeg, would not upstream reservoirs,
8 plural, have to be enormous in size to have any
9 real impact on inflows into the lake?

10 DR. VENEMA: We did a calculation --
11 we did a calculation on the 2011 flood flows and
12 we looked at the Portage Diversion, and the amount
13 of water in the order of 3 and a half million acre
14 feet that flowed through the Portage Diversion in
15 2011. And it was a fairly rough estimate, but we
16 estimated that one in ten sections holding three
17 feet of water upstream of the Portage Diversion
18 would have eliminated the need to use the Portage
19 Diversion.

20 MR. BEDFORD: You perhaps wandered
21 into my next question, which is, where would one
22 locate these reservoirs? And I just heard you say
23 upstream of the Portage Diversion, but I think
24 that comment was in specific reference to Portage
25 Diversion and inflows into Lake Manitoba?

1 DR. VENEMA: Yes.

2 MR. BEDFORD: So if we turn our minds
3 more broadly to Lake Winnipeg, and keeping in mind
4 the various rivers and streams from whence come
5 the inflows, where would you propose putting these
6 reservoirs?

7 DR. VENEMA: Well, I mean, there is --
8 it is a different style of agriculture, basically.
9 I mean the detailed siting, this work was done
10 decades ago, in fact, where some of the sort of
11 in-stream flood locations of storage locations
12 would be, but there is also the broader potential
13 to use, to use the agricultural landscape.

14 We also estimate that of the 5 per
15 cent of the agricultural land base that's under,
16 on average under a flood claim, if that was
17 repurposed for multi-functional storage, you could
18 likely balance the nutrient load on -- so you
19 would, in those storage locations using 5 per cent
20 of the landscape that's under flood claim, you
21 could balance the nutrient load flowing off that
22 part of the agricultural landscape.

23 MR. BEDFORD: Help me out here, where
24 is the 5 per cent of the land base that's under
25 flood?

1 DR. VENEMA: On average about 5 per
2 cent, if you look at a long-term record of flood
3 claims, about 5 per cent of the agricultural
4 landscape is under flood claim. So if you were to
5 use that as a rule of thumb then, and you were
6 using that portion of the landscape for flood
7 storage, and based on our analysis of how much
8 nutrients you could take up in that 5 per cent of
9 the landscape, you would balance nutrient loading.

10 MR. BEDFORD: Are we talking about the
11 Red River Valley and the Assiniboine River Valley?

12 DR. VENEMA: Primarily, yeah.

13 MR. BEDFORD: My recollection from
14 other hearings before the Clean Environment
15 Commission is that it is a horrendous challenge to
16 persuade farmers in the Red River Valley, who have
17 some of the best farmland in the world, to
18 sacrifice even the smallest portions of it for
19 other purposes such as hydro development.

20 DR. VENEMA: Well, indeed, and this
21 was the experience in that one diagram I showed.
22 This was the experience of our American colleagues
23 as well, in that North Ottawa project, which is
24 upstream of Fargo. The U.S. Army Corps of
25 Engineers did some work and determined that the

1 lowest cost option was to pursue a distributed
2 storage solution for flood protection for Fargo.
3 It took ten years once that analysis was conducted
4 and the relevant watershed agency was empowered to
5 pursue a distributed storage option, it took about
6 ten years to implement the project because of
7 landowner concerns. Ultimately, the answer was to
8 not sacrifice that land for agriculture, to lease
9 it back to farmers in most years, when it won't be
10 backflooded. And so it took buyouts and then a
11 creative leasing approach to lease back that land.

12 And it fundamentally took a new
13 financial instrument, they didn't call it that but
14 it was an ecosystem services procurement
15 instrument to effect that.

16 MR. BEDFORD: One of the things that
17 we learned through the course of this hearing is
18 that, roughly speaking, only about 10 per cent of
19 the inflows into Lake Winnipeg come via the Red
20 River and the Assiniboine River. The Winnipeg
21 River is the primary source of inflows, and my
22 recollection is that estimate is that it accounts
23 each year for not quite half the inflows. So to
24 return to your suggestion that perhaps upstream
25 reservoirs would be an appropriate target, what

1 about inflows from the Winnipeg River?

2 DR. VENEMA: Well, I mean our concern
3 has been the issue of Lake Winnipeg
4 eutrophication, primarily. And although the Red
5 River, Red/Assiniboine system accounts for 10 to
6 15 per cent of the inflows, it is the bulk of the
7 nutrient loading. So if you, and it is the region
8 that's also subject to catastrophic flooding. So
9 if you want to, if you want to effect multiple
10 local benefits, and influence -- and effectively
11 reduce the nutrient loading to Lake Winnipeg, you
12 will be looking at upstream solutions. That's the
13 intent of our paper. The scope is limited to what
14 the major underlying driver of nutrient loading to
15 Lake Winnipeg is, and an approach that creates
16 multiple benefits while responding to it. Our
17 intent is not to generate a general storage
18 solution for Lake Winnipeg, a general upstream
19 storage solution for Lake Winnipeg that would
20 include the Winnipeg River and the Saskatchewan
21 River. Our intent is to propose a paradigm for
22 upstream management most pertinent to the region
23 that delivers the bulk of the nutrients.

24 MR. BEDFORD: And as I recall your
25 paper, and you have echoed some of it very briefly

1 in the presentation today, the solution that you
2 are proposing is not a made in Manitoba, Manitoba
3 only solution, given the size of the basin that is
4 the source of the water that flows into Lake
5 Winnipeg, incidentally, as I recall, the ultimate
6 source of some of the nutrients that are in the
7 water, this would only have some hope if it was
8 multi-jurisdictional in approach?

9 DR. VENEMA: Well, I mean, what we
10 have said at our institute is that -- I mean, the
11 solutions are in some ways, they have a Manitoba
12 pedigree to some degree, certainly the work that
13 South Tobacco Creek has been pioneering. The
14 North Ottawa project is perhaps a very clear
15 general example of what we are talking about, and
16 that's in Minnesota admittedly.

17 What we have said is that Manitoba,
18 because we are the downstream jurisdiction, there
19 is sort of an imperative that Manitoba
20 demonstrates some leadership on this. But there
21 is also -- so I think the likelihood of a
22 multi-jurisdictional approach would be enhanced
23 with sort of clear policy direction in Manitoba,
24 clear policy commitment in Manitoba.

25 Ultimately, you do need

1 interjurisdictional collaboration. And there are
2 precedents for it. My understanding is that there
3 are examples, including the Rafferty Alameda dam,
4 where North Dakota actually worked with Federal
5 and Provincial authorities to increase the storage
6 capacity of Rafferty for protection for Minot.
7 Now, ultimately, as events recently show, that may
8 not have been sufficient protection. But there
9 are precedents for interjurisdictional
10 collaboration, and arguably a precedent for the
11 purchase of ecosystem services.

12 The North American Waterfowl
13 Management plan is another precedent for
14 interjurisdictional ecosystem services
15 procurement.

16 MR. BEDFORD: Thank you.

17 THE CHAIRMAN: Thank you, Mr. Bedford.

18 Mr. Williams, do you have any
19 questions?

20 MR. WILLIAMS: Yes, just a few.

21 Good afternoon, members of the panel,
22 Dr. Venema, my name is Byron Williams. I'm a
23 lawyer with the Consumers Association of Canada,
24 the Manitoba branch.

25 Just to pick up a little bit on your

1 conversation with Mr. Bedford, I wonder if you
2 could just provide a definition of ecosystem
3 services procurement instruments?

4 DR. VENEMA: A definition of that?

5 MR. WILLIAMS: Or a bit more insight
6 into it anyways, sir.

7 DR. VENEMA: Well, what would be a
8 good example? I mean, the simplest example would
9 be a carbon market, where obviously you are
10 buying -- particularly, if it is biological
11 carbon. I mean, even smoke stack emissions
12 reduction are an ecosystem services benefit to the
13 atmosphere, a benefit to the global ecosystem. So
14 that's a purchase of an ecosystem service.
15 Another example of an ecosystem service
16 procurement would be a water quality trading
17 system where you -- where, for example, a water
18 treatment plant purchases equivalent reductions of
19 nutrients, of phosphorous and nitrogen reductions,
20 rather than investing in hard infrastructure to
21 lower emissions of phosphorous and nitrogen to the
22 environment, they would purchase them from
23 upstream, from a watershed agency, from a
24 collection of farmers, from an individual farmer,
25 who was enacting some practice that lowered

1 nitrogen or phosphorous emissions. So water
2 quality trading system is another example.

3 If you buy your driver's licence --
4 sorry, a hunting licence in Iowa, you are funding
5 the North American Waterfowl Management program
6 which purchases waterfowl habitat in Canada. So,
7 that's another example, a more sort of, perhaps a
8 less obvious purchase of ecosystem services. But
9 there are, you know, various -- it is a fairly big
10 market now internationally, the trading of
11 ecosystem services, particularly wetlands.

12 MR. WILLIAMS: Okay. Thank you very
13 much for that.

14 And you certainly don't need to turn
15 there, but in your submission, your written
16 submission from February, there is also a
17 reference in terms of the use of financial tools
18 to ecosystem service valuation to provide the
19 rationale for investment. And I wonder if you
20 could elaborate on that a bit more with some
21 examples?

22 DR. VENEMA: Well, a local example?

23 MR. WILLIAMS: Any example will do,
24 sir.

25 DR. VENEMA: Okay. Well, the next

1 major infrastructure investment that the City of
2 Winnipeg is contemplating is combined sewer
3 overflow. This is just an example. It is quite
4 an expensive proposition, multi-decadal investment
5 actually most likely and, you know, in the order
6 of a billion dollars, probably more, probably
7 significantly more to fully do it. And it will
8 largely have an esthetic impact on, you know,
9 there will be fewer sewer overflows with, you
10 know, under high precipitation events there will
11 be fewer incidents where the sewers of the City of
12 Winnipeg overflow and you see basically sewage in
13 the Assiniboine and Red River. So that investment
14 of a billion or so dollars is intended to reduce
15 the incidence of that.

16 Now, the actual long-term benefit to
17 Lake Winnipeg, for example, is very, very modest.
18 You will reduce the phosphorous load to Lake
19 Winnipeg in the order of 1 per cent by investing a
20 billion dollars. So the public policy decision
21 is, is that billion dollars well spent? And it
22 depends on what the public policy objective is.
23 If the public policy objective is really, as I
24 believe it is, to improve the health of Lake
25 Winnipeg, that billion dollars would be invested

1 elsewhere, and it would be invested in lower cost
2 ecosystem service procurement upstream through,
3 for example, multi-functional distributed storage
4 programs. So you can buy a lot of nutrient
5 reduction with that kind of money. So it would be
6 a swap of hard infrastructure for soft
7 infrastructure.

8 I'm not saying that, you know, it is a
9 matter of, it is a public policy debate, why would
10 we do combined sewer overflow? I attended an open
11 house a couple of weeks ago, I happened to
12 participate in the discussion, and I learned that
13 at least the participants in that workshop really
14 valued the health of Lake Winnipeg as the highest
15 priority. If that is in fact the consensus, then
16 that billion dollars would be better spent buying
17 ecosystem services. That's a local example.

18 MR. WILLIAMS: That's very helpful,
19 sir. Thank you. And thank you members of the
20 panel.

21 THE CHAIRMAN: Thank you,
22 Mr. Williams. Ms. Whelan Enns?

23 MS. WHELAN ENNS: Gaile Whelan Enns
24 from Manitoba Wildlands. Hello, Dr. Venema, I'm
25 going to look through the hardware at you and make

1 sure we can see each other.

2 You mentioned the Prairie Water Board,
3 you mentioned the Red River Basin Commission, and
4 then you mentioned the Prairie Water Board. I
5 wanted to ask you whether IISD, in your research
6 and presentation now, and also generally in terms
7 of the basin, has reviewed the Prairie Water
8 Management Agreement, whether you see any possible
9 approaches, tools or things that could be done
10 that would make a difference, again,
11 inter-jurisdictionally in terms of your
12 recommendations today?

13 DR. VENEMA: I think that -- I would
14 hope so. I would hope that the Prairie Provinces
15 Water Board could act as, could be part of the
16 solution. I mean, it is a really -- people will,
17 you know, have reflected on the Prairie Provinces
18 Water Board and have said that you could never get
19 something like that done nowadays. It was a
20 product of the day, I guess '60s, late '60s, early
21 '70s. The Prairie Provinces Water Board to act as
22 a facilitator for ecosystem services markets, I
23 would say likely not, they would probably be the
24 regulator. And you would have another, some other
25 entity that would actually go about the business

1 of investing. An agency like perhaps the Prairie
2 Provinces Water Board could be responsible for
3 ensuring that those investments are actually
4 producing the claimed environmental benefit.
5 Interesting question.

6 MS. WHELAN ENNS: Thank you. I was
7 trying to remember how long it has been since the
8 agreement has been opened and renewed. So I'm
9 going to ask for your help on this because I think
10 it hasn't been since the late '60s, early '70s,
11 actually seen a review by the three provinces and
12 a confirmation and renewal?

13 DR. VENEMA: There has been -- it is a
14 good question. There has been, I think, some
15 discussion of expanding to water quality concerns.
16 I do not believe that those -- those negotiations
17 have advanced particularly.

18 MS. WHELAN ENNS: Thank you.
19 You made a reference in your
20 presentation about ways to hold water on the land,
21 and how to, in fact, not need the 3.5 million-acre
22 feet that the Portage Diversion moved in 2011.

23 DR. VENEMA: Yes.

24 MS. WHELAN ENNS: We haven't gotten to
25 the point in the hearing yet, in terms of talking

1 about acre feet of water in Lake Winnipeg in the
2 regulation span between 715 and 711 feet.

3 DR. VENEMA: Um-hum.

4 MS. WHELAN ENNS: In your preparation
5 and your research, preparation for your report and
6 your research, has IISD taken a look at the acre
7 feet of water between 711 and 715 in Lake
8 Winnipeg, and how one could start to think about
9 ecosystem services and management of the lake
10 spreading out into the basin on that four foot
11 range?

12 DR. VENEMA: Well, that's an
13 interesting piece of analysis actually, that would
14 be a very interesting piece of analysis, to
15 allocate -- that would imply, though, that you are
16 considering -- I mean, this goes back to the
17 previous question about the -- I mean, the
18 hydraulic implications of that are significant.
19 To look at the amount of storage required between,
20 the amount of upstream storage between 711 and
21 715, that's a lot. I guess our point is that you
22 could do that, it wouldn't influence the nutrient
23 load, like only the Red/Assiniboine, the
24 distributor source component in the Red
25 Assiniboine system would significantly influence

1 the nutrient loading issue. The broader question,
2 I mean, the broader question is, you know,
3 engineered storage, more engineered storage on the
4 other major rivers, and that piece of analysis we
5 have not done.

6 MS. WHELAN ENNS: Thank you very much.

7 I wanted to stay in this range a
8 little bit, in relation to the question
9 Mr. Bedford asked you, where the assumption was
10 that the storage of water on the land to reduce
11 the inflows and the impacts on the lake has to be
12 interjurisdictional. So my question is, and this
13 is somewhat based on spending three years in the
14 international sub mitigation committee between the
15 five jurisdictions after the '97 flood. So my
16 question for you is, given that the IJC
17 recommended this for Manitoba, and that there has
18 been other presenters here in these hearings
19 making the similar or related observations as you
20 are making, my question to you is, how many times
21 do you have to hold the water back, and how much
22 of it could be done in Manitoba that would benefit
23 all of Manitoba?

24 What I'm getting at is that the
25 assumptions are that this is reservoir, it is not

1 necessarily reservoirs, and it can be a whole
2 systematic change, I believe, in drainage systems.
3 And the reality of post serious floods in the Red
4 River Valley is that the fields that are under
5 water for weeks and weeks, regardless of whether
6 there was any planned retention, all carried
7 bumper crops that year. So what I'm asking you
8 is, does it need to be reservoirs? How many times
9 do you hold the water back? Where is it best to
10 hold it back rather than obviously outside of
11 Manitoba? Have you thought about it as being a
12 water retention system rather than as a reservoir
13 system?

14 DR. VENEMA: Well, I think that -- I
15 mean, that's the North Ottawa paradigm, right, the
16 North Ottawa project that I showed a diagram of.
17 Basically, it is modestly engineered retention, it
18 is -- the key feature of it is, it is not wet all
19 of the time. And in most years, about three to
20 five years, the land is leased back for normal
21 agriculture. In those other years, this is the
22 interesting part, for the same reason that you get
23 bumper crops in the flooded areas, you have got
24 that nutrient retention. And we are seeing the
25 sort of the spontaneous emergence of macrophytes,

1 wetland biomass, that are luxury users of those
2 nutrients. Same reason as why you get bumper
3 crops. So, yes, I do agree with you that with
4 modest improvements to the way agricultural
5 landscape is managed, we will see that flood
6 retention benefit, and can manage for that
7 nutrient flux that comes with the flooding.

8 MS. WHELAN ENNS: Thank you.

9 Your presentation and your report are
10 noteworthy for the set of recommendations you have
11 made, but you've also not entered into any
12 discussion about the current licence or the
13 current regulation, the 711, 715.

14 DR. VENEMA: Um-hum.

15 MS. WHELAN ENNS: What I wanted to ask
16 you was whether that was a deliberate decision in
17 terms of your focus on management on a basin
18 basis, and for ecosystem service markets and
19 improvements overall, or whether there is anything
20 that you would like to say about the current
21 regulation of the lake?

22 DR. VENEMA: Well, we haven't done
23 modeling work directly on the 711, 715 range. My
24 understanding is that -- my understanding is that
25 because the largest nutrient loads come with the

1 largest flood events, the fact that you have a
2 higher regulated discharge at 715 than you would
3 under natural conditions is actually a benefit in
4 terms of the flushing effect of nutrients. So if
5 you had the sort of climatic drivers that we do,
6 the large flood events that drive the majority of
7 the nutrients into Lake Winnipeg, having that
8 phenomenon and -- I mean, if you didn't have the
9 higher discharge capacity, you would see higher
10 levels of nutrient retention. So I guess that's
11 the -- with respect to nutrient loading, which has
12 been our primary concern at IISD, I would say
13 that's the major implication of regulation, that
14 it allows you to lower the lake and flush more
15 nutrients than you would under natural conditions.

16 MS. WHELAN ENNS: Thank you. I'm
17 on -- let me see, looking for a page number here,
18 and not finding one. I'm going to ask you, this
19 is a summary that I'm looking at, at the front of
20 your paper, and I'm on the list of
21 recommendations. Just below it you refer to a
22 Lake Winnipeg Regulation scoping session. I
23 wanted to ask you which session you are referring
24 to?

25 DR. VENEMA: That was the one held --

1 Carla, help me out here?

2 CARLA: I think it was in the work
3 site, but I think it was about a year or so ago I
4 think.

5 THE CHAIRMAN: Was that the
6 pre-hearing meeting that was held in the next room
7 in, I think it was May of last year?

8 CARLA: Yep.

9 MS. WHELAN ENNS: Okay. Thank you.
10 I was trying to remember whether your
11 work, for instance, in Africa included reservoirs?

12 DR. VENEMA: My work?

13 MS. WHELAN ENNS: Your international
14 work before you came to IISD, did it include
15 reservoirs?

16 DR. VENEMA: It did, as a matter of
17 fact. I studied the operation of the Manantali
18 Reservoir in Mauritania, on the Senegal River
19 basin, and the influence of climate change, how it
20 should be optimally operated under climate change
21 conditions in West Africa.

22 MS. WHELAN ENNS: And do you consider
23 Lake Winnipeg to be operated as a reservoir?

24 DR. VENEMA: Well, it is. It is
25 operated as a reservoir.

1 MS. WHELAN ENNS: Thank you.

2 I wanted to thank you for your
3 references to the IPCC fifth assessment and say
4 thank you for your report and your presentation.

5 DR. VENEMA: Thank you.

6 THE CHAIRMAN: Thank you, Ms.
7 Whelan Enns. Pimicikamak, any questions of this
8 witness?

9 Thank you. Mr. Yee?

10 MR. YEE: Thank you, Dr. Venema, it
11 was very interesting. I just have a general
12 question. One of your examples was the Columbia
13 River basin for an example of large basin
14 management planning. You know, given that it is
15 very similar to the Lake Winnipeg watershed in the
16 fact that you have got all of these various
17 jurisdictions, State and Provincial governments
18 and two Federal governments, Canada and U.S., I'm
19 just wondering if you have any comments on how
20 well this is working, because I gather it has been
21 in place for some period of time? Given the
22 competing interests, and you have got all of the
23 regulatory requirements that may vary from
24 jurisdiction to jurisdiction, I'm just wondering
25 how well it is working?

1 DR. VENEMA: Well, my understanding is
2 that it is working very well, in fact. The
3 coordination between Canada and the U.S. in this
4 case is working very well.

5 MR. YEE: Thank you.

6 THE CHAIRMAN: Ms. Suek? Mr. Harden?

7 MR. HARDEN: Yeah, I have a couple of
8 questions. I'm quite familiar with the South
9 Tobacco Creek project, I believe there was a PFRA
10 analysis of effectiveness of it done some time in
11 the '90s, and that concluded that those sort of
12 small dams were most effective at moderate, for
13 moderate floods, like ten per cent flood or
14 something like that. How do you go on to upscale
15 that then to the sort of very large floods that we
16 have been getting in recent years?

17 DR. VENEMA: I think the very large
18 floods are problematic. I mean, the analysis, and
19 quite likely you are familiar with this, the Red
20 River basin analysis was for a 20 per cent
21 reduction on 97, you could effect with distributed
22 storage. So that's significant and, you know,
23 that's the clipping, the hydrograph like that
24 would have a very, very significant benefit. So I
25 think that, you know, the challenge -- there has

1 been criticisms of the American strategy because
2 it is a lot of small projects, and I think that
3 that's surmountable, it is just basically a matter
4 of getting the policy framework right and
5 unleashing essentially the entrepreneurial
6 activity to have people, you know, engage in that
7 kind of land repurposing. So if you get the
8 policy framework right, if you get the financial
9 instruments right, I think you can effect a lot
10 of, you know, a lot of new projects.

11 If, you know, South Tobacco Creek has
12 been, has wrestled with -- they have been trying
13 to expand that work for a long time. And it has
14 been impeded to some degree by the fact that the
15 financial instruments aren't there. Until
16 recently, the surface water management, we did not
17 really have a surface water management strategy in
18 this province. The new surface water management
19 strategy really encourages this style of
20 distributed storage.

21 Now, the missing ingredient is the --
22 so the policy framework is improved, the missing
23 ingredient will be the financial instruments.

24 Our broader point is that these
25 projects can be a very good investment, and it is

1 not just a cost centre. If you can start to
2 manage the benefit of flood retention, and our
3 example is actually through biomass production, if
4 you can start to manage the storage projects as
5 revenue generating, then I think you will
6 accelerate the uptake of this style, this style of
7 project, this style of watershed management.
8 That's, I think -- I will give you an anecdote.
9 We have been working on the idea of nutrient
10 interception by biomass production. And if we,
11 even if we discounted the value of the biomass for
12 energy, which is one of its ecosystem services,
13 one of its value, the harvested biomass which
14 contains all of these nutrients, which grows in
15 these flood retention zones, even if we discount
16 the energy benefit, we are still ten times cheaper
17 approximately in the order of magnitude, could be
18 more, than conventional wastewater treatment.

19 So it is -- perhaps I'm taking
20 liberties in my response here, but the basic
21 message is you need to scale this concept up. The
22 barriers are in part policy, but mostly financial.
23 If you look at all of the revenue and public
24 benefit that flow from these projects, with some
25 creativity on how you implement these financial

1 instruments, these can be very attractive
2 investments.

3 MR. HARDEN: Okay. In terms of, I
4 guess, financial aspect of things, what we have
5 seen in recent years is a trend toward larger and
6 larger farms, almost factory farms, if you will,
7 being worked by larger and larger equipment, and
8 resulting loss in wetlands on those farms due to
9 drainage, simply because the farmers don't want to
10 have to try and maneuver this big equipment around
11 these little ponds. What kind of policy or
12 financial incentives can you do to combat that
13 sort of trend?

14 DR. VENEMA: I don't -- okay, I don't
15 believe that you need to really push against, I
16 mean, I don't think that's the issue. I think the
17 issue is -- so your concern is the fact that you
18 are saying increased wetlands loss, primarily,
19 with these --

20 MR. HARDEN: Yes.

21 DR. VENEMA: Well, it is true, that is
22 a major concern. And, in fact, I heard just the
23 other day that a pilot ecosystem services program
24 called ALUS, the alternative land use surface
25 program that was piloted in the rural

1 municipality, Blanchard Municipality of Western
2 Manitoba, as soon as that pilot program ended, the
3 wetland drainage resumed.

4 So the point is that farmers will
5 respond to a modest price signal for an
6 alternative purpose, for repurposing their land.
7 The ALUS program wasn't particularly rich, it was
8 in the order of \$25 to \$50 an acre, I believe. It
9 was -- but it was a sufficient price signal to
10 avoid further wetland loss. So I think the
11 message is that if we recognize the
12 multi-functional nature of the agricultural
13 landscape, recognize the public values therein,
14 and are willing to pay for them, you will see
15 altered behaviour on the part of agricultural
16 producers.

17 MR. HARDEN: Okay. Those were my
18 questions.

19 THE CHAIRMAN: I have a couple of
20 questions, the first of which isn't particularly
21 relevant, but I'm curious. In your report when
22 you are talking about the Columbia River basin,
23 you say there are 370 hydroelectric dams in that
24 basin, is that correct?

25 DR. VENEMA: That's dams of all types,

1 I believe.

2 THE CHAIRMAN: There must be an awful
3 lot of small ones.

4 DR. VENEMA: Yeah.

5 THE CHAIRMAN: That's a huge number.

6 Anyhow, that's not really what I
7 wanted to pursue, but I want to talk a little bit
8 about sort of a management regime. You've talked
9 about having a multi-jurisdictional management
10 regime, which in this case would presumably
11 involve three other provinces and at least two
12 states, I mean, the pieces of Montana and South
13 Dakota that are included are not much bigger than
14 this room. But what is in it for the other
15 jurisdictions? There is obviously a lot of
16 benefits for Manitoba, for Lake Winnipeg, but what
17 is in it for the other jurisdictions? What would
18 attract them to become part of such a management
19 regime?

20 DR. VENEMA: Well, I have pondered
21 this question, and I believe the answer is when
22 multiple benefits of -- there is a leadership
23 question here ultimately. And I would say that
24 the -- you would work with -- it would be hard to
25 orchestrate all jurisdictions to enter into such a

1 treaty, you know, this won't be an easy task. I
2 think the key ingredients are demonstration by
3 Manitoba of a sophisticated -- basically
4 implementing the surface water management
5 strategy, the creative use of financial
6 instruments to fund the strategy, and in turn the
7 benefits therein, both private and public, and
8 the -- and ultimately the creation of financial
9 instruments to support this. That would certainly
10 increase the likelihood of other jurisdictions
11 collaborating on such a thing.

12 THE CHAIRMAN: Would there be many
13 advantages for just a Manitoba only -- Mr. Bedford
14 went a bit down this road -- for just a Manitoba
15 only management board?

16 DR. VENEMA: Well, yeah, there
17 certainly -- I think if it was designed to --
18 there is certainly benefit. I mean, we've said
19 that Manitoba needs to sort of demonstrate
20 leadership here. Yeah, the short answer is yes.
21 The short answer is yes. However, I mean, it is a
22 bit like what the lake friendly stewards alliance
23 is attempting, to engage sort of on a voluntary
24 basis upstream jurisdictions in best management
25 practices and so forth. There is no question that

1 a Lake Winnipeg basin board, a Manitoba Lake
2 Winnipeg basin board would be an appropriate first
3 step. However, I think an outreach function to
4 other jurisdictions should be a built-in component
5 of such a board. And I think continually working
6 with the IJC would also be an important step
7 towards trans-boundary expansion of such a
8 management board.

9 THE CHAIRMAN: I mean, you talk about
10 some of the parties that might be on such a
11 management board, and it would include, I mean
12 beyond other Provincial Governments it would
13 include community organizations, First Nations in
14 the area, non-governmental organizations.

15 Could they be involved, or such a body
16 with those parties, could they play a role in
17 policy development and management -- policy
18 development for management of the watershed?

19 DR. VENEMA: Indeed, yes.

20 THE CHAIRMAN: I mean, they could sort
21 of direct research, I would think that might be --
22 not necessarily undertake the research, but
23 determine that this needs to be done or that needs
24 to be done.

25 DR. VENEMA: Well, an advisory

1 function, yeah. I think, you know, such a
2 management board would appropriately have powers
3 to commission research, and the research questions
4 that it undertook should be informed by such a
5 stakeholder group, for sure.

6 THE CHAIRMAN: Okay, thank you. I
7 don't think -- we could probably discuss some of
8 this stuff for a long time, but I don't think that
9 I have any more pertinent questions, or any more
10 pertinent questions right now.

11 So, I would like to thank you for
12 coming out today, for preparing the paper that you
13 delivered to us a number of weeks ago, and for
14 making this presentation. It has added one more
15 important cog in our review of this issue. So,
16 thank you, Dr. Venema.

17 DR. VENEMA: Thank you.

18 THE CHAIRMAN: I think that brings us
19 to a conclusion for today. We just had the two
20 presentations. Tomorrow we have the Norway House
21 Fishermen, and we will be on at 9:30 with Norway
22 House Fishermen tomorrow morning. Documents to
23 register?

24 MS. JOHNSON: As always. Mr. Zuzek's
25 report on erosion and accretion is CEC 19. The

1 accompanying presentation is number 20. And the
2 Nelson River Hydrologic Project historical
3 document is CEC number 21. The IISD paper is SUB
4 number 7, and the presentation will be WPG 18.

5 (EXHIBIT CEC 19: Mr. Zuzek's report
6 on erosion and accretion)

7 (EXHIBIT CEC 20: Mr. Zuzek's
8 presentation)

9 (EXHIBIT CEC 21: Nelson River
10 Hydrologic Project historical
11 document)

12 (EXHIBIT SUB 7: IISD paper)

13 (EXHIBIT WPG 18: IISD presentation)

14 THE CHAIRMAN: Thank you. So we stand
15 adjourned then until tomorrow morning at 9:30.

16 (Adjourned 2:50 p.m.)

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

OFFICIAL EXAMINER'S CERTIFICATE

Cecelia Reid and Debra Kot, duly appointed
Official Examiners in the Province of Manitoba, do
hereby certify the foregoing pages are a true and
correct transcript of my Stenotype notes as taken
by us at the time and place hereinbefore stated to
the best of our skill and ability.

Cecelia Reid
Official Examiner, Q.B.

Debra Kot
Official Examiner Q.B.

This document was created with Win2PDF available at <http://www.win2pdf.com>.
The unregistered version of Win2PDF is for evaluation or non-commercial use only.
This page will not be added after purchasing Win2PDF.